

UNITED STATES DEPARTMENT OF TRANSPORTATION

TECHNICAL PIPELINE SAFETY STANDARDS COMMITTEE MEETING

Loews L'Enfant Plaza Hotel
490 L'Enfant Plaza, S.W.
Ballroom A
Washington, D.C.

Wednesday, May 28, 2003
1:30 p.m.

Technical Pipeline Safety Standards Committee Members

LINDA J. KELLY, Chair
Commissioner
State of Connecticut
Department of Public Utility Control

BEN P. ANDREWS, III
General Manager
Oak Ridge Utilities District

MICHAEL R. COMSTOCK
Utility Compliance Coordinator
City of Mesa, Arizona

RICKEY L. COTTON
Director of Pipeline Safety
Mississippi Public Service Commission

J. ANDREW DRAKE
Director of Codes, Metallurgical Services and
Project Records
Duke Energy Gas Transmission

RICHARD E. FEIGEL
Vice President, Engineering
Hartford Steam Boiler

JOHN SPENCER LEISS
Geologist
Federal Energy Regulatory Commission

THEODORE C. LEMOFF
Senior Gasses Engineer
National Fire Protection Association

EXECUTIVE COURT REPORTERS, INC.
(301) 565-0064

Technical Pipeline Safety Standards Committee Members

STEVE NIKOLAKAKOS, P.E.
Project Manager/Manager Corrosion Engineering
Russell Corrosion Consultants, Inc.

RICHARD PEVARSKI
Chief Executive Officer
Virginia Utility Protection Services, LLC

ERIC E. THOMAS
Director of Engineering
Southern Natural Gas Company

DR. THEODORE WILLKE
TLW Solutions, Inc.

JAMES F. WUNDERLIN, P.E.
Vice President, Engineering
Southwest Gas Corporation

Office of Pipeline Safety Representatives

STACEY GERARD
Associate Administrator for Pipeline Safety
Office of Pipeline Safety

MIKE ISRANI
Program Manager (IMP)
Office of Pipeline Safety

BARBARA BETSOCK
Deputy Chief Counsel

CHERYL WHETSEL
Office of Pipeline Safety

Participants

DARON MOORE
El Paso Corporation

TERRY BOSS
Interstate Natural Gas Association of America

PHIL BENNETT
American Gas Association

EXECUTIVE COURT REPORTERS, INC.
(301) 565-0064

Participants (Continued)

PAUL GUSTILO
American Gas Association

A G E N D A

<u>AGENDA ITEM:</u>	<u>PAGE:</u>
Welcome	6
Stacey L. Gerard	
Briefing: Pipeline Integrity Management for Gas Transmission Pipelines in High Consequence Areas (NPRM)	15
Mike Israni	
Definitions	
High Consequence Areas (Bifurcation) Should a rule allow two options: following the definition of high consequence areas defined by final rule on August 6, 2002, (67 FR 50824); or using potential impact circles along the entire length of the pipeline?	17
HCA - Population Threshold Should the criterion for determining the population density component of a high consequence area be based on 10 or 20 buildings intended for human occupancy within the impact circle?	23
Impact Radius (C-FER) Should additional safety margin be applied to the potential impact circle radius calculated using the C-FER equation?	28
Extrapolation (HCAs) Should a rule allow an operator to use data regarding the number of buildings within 660 feet of the pipeline (available now to operators because of the existing definition of class locations) to infer (extrapolate) the building density in population impact circles larger than 660 feet? Should this be limited to an interim period of five years to allow operators to collect additional data on buildings beyond 660 feet?	58

A G E N D A

<u>AGENDA ITEM:</u>	<u>PAGE:</u>
Plastic Pipe What assessment requirements should be applicable to plastic transmission pipelines?	73
Assessment	
Low-Stress Pipeline (a) Should assessment requirements for low-stress pipeline operating at or above 20 percent but less than 30 percent SMYS allow use of only confirmatory direct assessment (CDA) for reassessment (Baseline: PT, ILI or DA?) (b) Should assessment requirement for low-stress pipeline operating at or below 20 percent of SMYS allow use of CDA for all assessments (baseline and reassessment?) (c) Should preventive and mitigative requirements in Class 3 and 4 locations outside of impact circles be enhanced to provide added assurance?	81
Pressure Testing	113
Should the requirement to pressure test pipeline to verify integrity against material and construction defects be limited to pipeline segments for which information suggests a potential vulnerability to defects? If so, what information should be relied upon?	
Adjournment	

P R O C E E D I N G S

2:02 p.m.

Welcome

MS. GERARD: Welcome to a historic meeting of this Technical Advisory Committee. We have several initiatives before this agenda for the next couple of days, not the least of which is the vote on the Gas Integrity Management Rule and the Cost Benefits Study, and there are some other votes as well.

I appreciate your tolerance as we adjusted the agenda right up to the very last minute.

I wanted to say that, as we have a tremendous number of issues to discuss, that with the help of our counsel, Barbara Betsock, we provided you as a Committee as much guidance as we could about the evolution of our thinking up to current day. And it will be my request that in terms of style of moving the issue and discussion forward that we will say -- assuming that you understand the position that was provided in the documentation for the meeting, if you could assume that we're considering the factors as noted, please make your comments in addition to that or to amplify those positions.

We are trying not to go back to ground zero but start kind of from where we are in present day

1 since we've moved our discussions so much through our
2 last meeting and other public meetings. So as much as
3 possible, we will say, assuming that this is our
4 position, are there any objections, and try to minimize
5 the number of votes if we possibly can.

6 That okay with you, Madam Chairman Kelly?

7 CHAIRMAN KELLY: Certainly.

8 MS. GERARD: Okay. Well, I think -- do we
9 have all the Committee members present that we're
10 expecting, Cheryl?

11 Okay. Then, with that, I, Stacey Gerard, am
12 turning the agenda over to our chairman, Linda Kelly,
13 for management.

14 CHAIRMAN KELLY: Good afternoon and welcome.
15 We're becoming fast friends we're meeting so
16 frequently lately, but it's all been helpful.

17 We should begin with introductions, I think.

18 I am Linda Kelly, a commissioner from the
19 State of Connecticut, Public Utility Control Authority
20 and currently chair of this body.

21 And we'll start with Mike Israni to my right.

22 MR. ISRANI: I'm Mike Israni. I'm the
23 program manager for Pipeline Integrity Management with
24 OPS.

25 MR. THOMAS: Eric Thomas, Southern Natural

1 Gas Company, which is an El Paso company.

2 MR. ANDREWS: Ben Andrews, Oak Ridge
3 Tennessee Utility District.

4 MR. COMSTOCK: Mike Comstock, City of Mesa,
5 representing American Public Gas.

6 MR. COTTON: Rickey Cotton, Mississippi
7 Public Service Commission.

8 MR. DRAKE: Andy Drake, Duke Energy Gas
9 Transmission Company out of Houston, Texas.

10 MR. LEMOFF: Ted Lemoff, National Fire
11 Protection Association.

12 DR. FEIGEL: Gene Feigel of Hartford Steam
13 Boiler Inspection and Insurance Company, Hartford,
14 Connecticut.

15 MS. WHETSEL: Cheryl Whetsel with the Office
16 of Pipeline Safety.

17 MR. LEISS: John Leiss, Federal Energy
18 Regulatory Commission here in Washington, D.C.

19 MR. WUNDERLIN: Jim Wunderlin, Southwest Gas
20 out of Las Vegas, Nevada.

21 MR. PEVARSKI: Rick Pevarski, Virginia
22 Utility Protection Services, Roanoke, Virginia.

23 MS. BETSOCK: Barbara Betsock, counsel for
24 the Committee.

25 MS. GERARD: Stacey Gerard, associate

1 administrator, Office of Pipeline Safety, RSPA, DOT.

2 CHAIRMAN KELLY: I'd like to add just a few
3 things to Stacey's requested procedure for the day, and
4 I think it might be helpful to us because there is
5 quite a bit to cover.

6 When we begin our discussions here, I'd like
7 to open on the integrity management rules by requesting
8 a motion to approve of or the language that Barbara
9 says we have to use with respect to the rules, and a
10 second. And that would allow us to open the discussion
11 on the item, and as we approach each of the items for
12 discussion here, we as a Committee then can then take
13 action with respect to each item as an amendment to our
14 position of adopting or approving or accepting the
15 rule.

16 And to the extent -- just one thing that
17 Stacey Gerard mentioned, to the extent that -- that the
18 Committee or OPS and industry all agree on a particular
19 matter, to the extent that the language is different
20 from that in the published rule, we would still need to
21 take action. But I'd like to just emphasize what she
22 said earlier. To the extent that there is agreement,
23 our discussion should not proceed as though there is
24 not agreement.

25 Are there any comments on that? Is everyone

1 comfortable with proceeding in that fashion?

2 MS. GERARD: So, to clarify it from my
3 standpoint, where we have provided a description of a
4 position and considerations in the document we provided
5 to the Committee for the meeting, the Committee should
6 sort of pick up from that point and -- and say, you
7 know -- I think you could say, assuming that this is
8 OPS's position on the definition of high consequence
9 areas bifurcation, does the Committee have any
10 additional action that they want to recommend. No?

11 Can we -- can we proceed with the
12 recommendations based on the documents we described?

13 CHAIRMAN KELLY: Well, we'll see what the
14 Committee -- how the Committee reacts to it, but yes,
15 we will follow the -- the order of issues because the
16 agenda that's been put together by -- by OPS, I
17 believe, has been to highlight the significant issues
18 that have resulted from the earlier discussions that we
19 have had. Certainly, to the extent that there are
20 other issues, this does not constrain members of the
21 Committee.

22 So once we get through the ones that are
23 listed here on the agenda, I will ask for Committee
24 members to raise any other points that they would like
25 to discuss that pertain to the rule.

1 I will also ask members of the public if
2 there are areas that they want to bring to our
3 attention not listed here that pertain to the rule.

4 In fact, before we proceed -- and I know that
5 as we proceed issues may come up, but at this point, do
6 any members of the Committee have additional points
7 that you would like to discuss with respect to the
8 integrity management rule? You don't have to identify
9 them. I'd just like to know if you do have them.

10 MR. DRAKE: I have a couple issues that we --
11 we have discussed about -- you know, at the previous
12 meeting we discussed a couple issues that are not on
13 this agenda, and I just think to make sure that we
14 close them formally that they would be brought on the
15 -- onto the agenda somewhere. And it certainly may
16 not -- we may be in total agreement, but just to close
17 them on the record. Those are the issues about the
18 overlap, the issue about prior inspections, and the
19 issue about performance-based venue of compliance.

20 We have talked about them but there hasn't
21 been any formal closure. And I don't know that we're
22 actually at odds with each other on any of these
23 things, but just for the purpose of continuity and
24 clarity.

25 CHAIRMAN KELLY: Thank you.

1 Are there any other issues that Committee
2 members would bring up at this point?

3 (No response)

4 CHAIRMAN KELLY: Are there additional issues
5 that members of the public would like to bring to our
6 attention?

7 (No response)

8 CHAIRMAN KELLY: Thank you.

9 I'd like to point out the fact that OPS staff
10 has done a tremendous job of preparing us for this
11 meeting. The written summaries that were sent to us,
12 including the before and after considerations by OPS,
13 the summation of comments received from the public both
14 at our meetings and through written documentation, has
15 been very helpful in allowing us to understand what the
16 issues are that we're here to consider today.

17 Similarly, the information that AGA and INGAA
18 presented to us that fully outlined their positions on
19 the issues, which sort of helped us, you know, recall
20 some of the issues that were raised at the prior
21 meetings but put them in a -- in a different format was
22 also very, very helpful.

23 So for the industry and for the staff, it's
24 been very, very helpful for the Committee to have this
25 information in advance.

1 Yeah. Are there any members of the Committee
2 who either left their books at home or did not receive
3 one before you traveled here? Because there are a few
4 extras.

5 (No response)

6 CHAIRMAN KELLY: Good. Everyone has them and
7 everyone has read them, and the exam will be at 4:00.

8 (Laughter)

9 CHAIRMAN KELLY: Now, before we get into our
10 discussion and before Barbara tells us the wording we
11 have to use for our resolution, just to -- before we
12 get into the topics, there are -- I believe we have
13 overall agreement on some very basic issues concerning
14 this regulation.

15 From the various meetings that we've had and
16 the comments that everyone has made, I believe everyone
17 favors clarity over complexity in this rule. So when
18 it's finally written we hope that there will be more
19 clarity than complexity. I know that that's difficult
20 to accomplish given the nature of this rule.

21 We all believe that it's important for the
22 public to have an understanding of what is about to be
23 undertaken.

24 And I believe, and most critically, we all
25 believe that the focus should be on the earliest --

1 that we should focus the earliest and greatest energies
2 on the areas where there is the potential for the
3 greatest harm. And every person, government, industry,
4 public, I believe has made it clear that we all start
5 from the standpoint that no serious injuries or deaths
6 are acceptable.

7 With that, Barbara, if you can tell us what
8 our opening vote should -- resolution should be so that
9 we can begin?

10 MS. BETSOCK: I understand you're going to be
11 considering the cost benefit separately?

12 CHAIRMAN KELLY: Yes.

13 MS. BETSOCK: Afterwards. So, the opening
14 one should be that the proposed rule is technically
15 feasible, reasonable, and practicable.

16 CHAIRMAN KELLY: Is there a motion to that
17 effect?

18 (No response)

19 CHAIRMAN KELLY: Well, let me say this. If
20 we don't have a motion, we don't have discussion.

21 MR. ANDREWS: I'll so move.

22 CHAIRMAN KELLY: Is there a second?

23 (No response)

24 CHAIRMAN KELLY: Moved and seconded.

25 PARTICIPANT: Second.

1 PARTICIPANT: Wait, wait, wait.

2 MS. GERARD: -- say that. We're talking
3 about the NPRM that was written several months ago
4 without benefit of the additional --

5 MS. BETSOCK: The NPRM is what is on the
6 table, and what I understand that the chairman wants to
7 do is now have enduring discussion take up those issues
8 and get the views of the Committee on those issues,
9 which would be a perfectly acceptable way to go about
10 approaching this.

11 CHAIRMAN KELLY: Moved and seconded.

12 All right. We will now commence discussion.

13 And the first item regarding -- for discussion is high
14 consequence areas.

15 Mr. Israni?

16 Briefing: Pipeline Integrity Management for Gas
17 Transmission Pipelines in High Consequence Areas (NPRM)

18 MR. ISRANI: Okay. Thank you, Linda.

19 This proposed rule -- before I go to issues,
20 just let me give you a quick brief for those who are
21 first time coming here.

22 This -- this proposed rule was published on
23 January 28th, and since then, OPS has participated in
24 several public meetings to better explain the proposed
25 requirements and hear the comments from industry,

1 public, and states. And OPS has heard issues raised at
2 these meetings and discussed new ideas on how to
3 resolve them.

4 A comment period on this proposed rule ended
5 on April 30th, and we are going to consider comments
6 that arrived after this comment period as far as
7 practicable.

8 At the last TPSSC member -- meeting, we had
9 addressed the issues that were raised at the public
10 meetings and we also recently, as you heard before,
11 mailed you a summary of comments that we have received
12 so far. We also mailed you an issues paper with our
13 analysis of comments and what our current
14 considerations are on those major issues. And we also
15 would like to -- in this meeting, our goal is to take
16 the Committee's vote with the recommended changes.

17 And instead of going through all the
18 comments, I have placed all these comments after each
19 and every individual issue. So that way it'll be
20 easier for you to figure out what comments we received,
21 whether it was at the public meeting or it came to the
22 docket as written comments.

23 So, we go to the first issue here.

24 And one brief statement before we go to this
25 high consequence area issue. We received a total of 89

1 documents, and these 89 documents ranged anywhere from
2 one page to 100 pages. So we have over 777 comments
3 that we have received, 69 from industry, 10 from
4 public, five from vendors, four from states, and one
5 from federal government, which is NTSB.

6 Definitions

7 High Consequence Areas (Bifurcation)

8 (Slide)

9 MR. ISRANI: The very first issue that was
10 raised in these meetings and what we are currently
11 considering is the bifurcation option for building
12 count. SIHO is the structures intended for human
13 occupancy. And I have given the cite, 192.761, for
14 your consideration.

15 The goal is here to identify those segments
16 of the pipeline that present greatest potential hazards
17 to people in order to focus integrity management
18 efforts on those segments.

19 (Slide)

20 MR. ISRANI: So here are the questions:

21 Should a rule allow two options for building
22 count: following the definition of high consequence
23 areas defined by the final rule -- which we mean is the
24 Class 3 and 4 location and the areas which are beyond
25 660 feet -- or using the potential impact circles along

1 the entire length of the pipeline?

2 And the requirements for identified sites
3 would remain the same for both options.

4 (Slide)

5 MR. ISRANI: So this was the question. And
6 to explain to you in a simplistic way, we say that one
7 option is Class 3 or 4 plus potential impact circle
8 with identified sites plus any potential impact circles
9 in excess of 660 feet with 20 structures intended for
10 human occupancy.

11 Or, other option is, potential impact circle
12 with 20 structures plus potential impact circle with
13 identified sites.

14 So this tells you what bifurcation is, what
15 are the two options being looked at. And it includes
16 all pipe within any circle meeting criteria.

17 That part, second bullet, includes all pipe
18 within any circle meeting criteria we're going to cover
19 later on when we go to C-FER equation. What we mean
20 is, you know, that the segment of the pipeline which
21 will impact high consequence areas is being extended.

22 (Slide)

23 MR. ISRANI: Comments that we have received
24 on this bifurcation option.

25 I would just summarize the key to give you

1 just what comments we have received.

2 On the bifurcation option, from the industry,
3 they uniformly support this option.

4 From the states, there was comment that we
5 should consider Class 3 and 4 locations and the
6 potential impact circles for other areas. This was
7 from one of the states who still wanted to consider our
8 old option of Class 3 and 4 location portion of the
9 pipeline, meaning -- they mean that that's the only
10 option that should be allowed.

11 And from the public, they support for the
12 option, option of choosing either class location or
13 this circle approach.

14 (Slide)

15 MR. ISRANI: And this is what we are saying,
16 what our current position is, what we are considering.

17 Allow bifurcation option for building count.

18 So, on that one issue, I think I'll stop
19 there.

20 This is our current position, and now we can
21 open the floor for Committee members to have any
22 suggestions, recommendations, or to accept this option.

23 CHAIRMAN KELLY: And before we begin the
24 discussion, let me make a recommendation -- through the
25 reluctance of the motion and the second and -- Mr.

1 Drake, I believe you made the motion -- perhaps we add
2 to the end of it, "subject to recommended changes that
3 may occur during the course of the discussion." Do you
4 find that acceptable?

5 MS. GERARD: That's what I would --

6 CHAIRMAN KELLY: Okay. All right.

7 So, now, are there questions from the
8 Committee on the presentation by Mr. Israni?

9 MR. ANDREWS: Ben Andrews. Mike, have you
10 established the building count? You say options for
11 building count. Are you recommending a building count
12 at this point?

13 MR. ISRANI: That's one of the items. I
14 think that's the second item.

15 MR. ANDREWS: You said it, though, in your
16 presentation --

17 MR. ISRANI: Okay. Yeah, we did -- did say
18 potential impact circle with 20, and that's our second
19 item that we're going to discuss. But, yes, that's
20 what we are currently considering.

21 CHAIRMAN KELLY: Any other questions by
22 Committee members or comments by Committee members?
23 Dr. Feigel?

24 DR. FEIGEL: Gene Feigel. Mike, what's going
25 to be the impact of the modification you're proposing

1 on the -- on the C-FER equation back in Number 3 to
2 what -- what the high consequence areas are that you're
3 dealing with right now? I mean, what's the -- I mean,
4 the two obviously are linked. What's the practical
5 implication of that going to be in, say, in a worst
6 case?

7 MR. ISRANI: Well, I think it would be better
8 when I discuss that C-FER part because I have some
9 diagrams to show you how we are going to cover that.
10 Yes.

11 CHAIRMAN KELLY: Are there any other comments
12 on the definitions and the bifurcation by Committee
13 members? Mr. Drake?

14 MR. DRAKE: Just for the purposes of clarity,
15 it appears that for the large diameter pipes that have
16 potential impact circles outside the current corridor
17 width that there isn't really a bifurcation, that
18 you're obligated to count houses using the circle and
19 not use Class 3, is that --

20 MR. ISRANI: Yes.

21 MR. DRAKE: That's correct?

22 MR. ISRANI: That's correct.

23 CHAIRMAN KELLY: Any other comments or
24 questions by Committee members?

25 (No response)

1 CHAIRMAN KELLY: Any comments or questions by
2 the public?

3 (No response)

4 CHAIRMAN KELLY: Is there a position that the
5 Committee would want to take on this particular item?
6 Yes, Mr. Lemoff?

7 MR. LEMOFF: Would it be appropriate for a
8 motion to accept this option?

9 CHAIRMAN KELLY: Yes.

10 MR. LEMOFF: I make that motion.

11 CHAIRMAN KELLY: Is there a second?

12 PARTICIPANT: I second.

13 CHAIRMAN KELLY: And -- and the motion, by
14 the way, in accepting the option is to amend the --
15 recommend this as an amendment to the proposed rule.

16 Is there any further discussion on that?
17 Yes?

18 DR. FEIGEL: Well, I'm going to abstain at
19 least because I see enough linkages between some of
20 these issues. I just -- I can't -- I don't think at
21 this point you can make an informed, intelligent vote
22 on breaking these up. Now, I mean, that's -- it goes
23 back to why I asked Mike the question a minute ago. I
24 just think there's enough linkage here that -- to, you
25 know, parse these out the way we are, we -- I -- again,

1 I'm repeating myself.

2 I just can't make an informed vote. Thank
3 you.

4 CHAIRMAN KELLY: Is there any further
5 discussion?

6 (No response)

7 CHAIRMAN KELLY: All in favor of this change,
8 say "aye."

9 (There was a chorus of "ayes.")

10 CHAIRMAN KELLY: Any opposed?

11 (No response)

12 CHAIRMAN KELLY: Any other extensions --
13 abstentions? Dr. Feigel?

14 (No response)

15 CHAIRMAN KELLY: Thank you.

16 All right. This is adopted as one of the
17 recommended changes.

18 Population threshold.

19 HCA - Population Threshold

20 (Slide)

21 MR. ISRANI: In the population threshold, our
22 goal is to identify those portions of a pipeline that
23 present the greatest potential hazard to people in
24 order to focus integrity management efforts on those
25 segments.

1 (Slide)

2 MR. ISRANI: The question is, should the
3 criterion for determining population density component
4 of a high consequence area be based on 10 or 20
5 buildings intended for human occupancy within the
6 impact circle?

7 (Slide)

8 MR. ISRANI: And these are the comments we
9 received and that we have heard at the public meetings.

10 Industry is all in favor of using 20 building
11 criteria.

12 There was a state which commented about using
13 10 building criteria. This was a written comment.

14 And we have a public supporting 20 building
15 criteria. There was one person at the public meeting
16 who supported that.

17 And there were some written comments on these
18 high consequence areas. Some comments were that we
19 should include critical infrastructure -- that came
20 from the state -- that we should include bridges, power
21 transmission centers, highways, highway intersections,
22 parks, recreational areas, and railways.

23 Then there was a comment from public that we
24 should use 10 buildings versus -- 10 versus 20 people
25 for outside gathering areas, meaning they wanted to be

1 even more conservative for the outside gathering areas.
2 They wanted to consider 10 people gathering, not 20
3 people gathering. These were additional comments that
4 we received.

5 (Slide)

6 MR. ISRANI: But let's focus first on the
7 building option. Our current position is that 20
8 buildings intended for human occupancy occurring within
9 a potential impact circle is a criterion for defining
10 high consequence areas.

11 And any recommendations from the members?

12 CHAIRMAN KELLY: Thank you.

13 Any comments or questions from members of the
14 Committee? Mr. Lemoff?

15 MR. LEMOFF: Yes. If I can ask Mike to kind
16 of fill me in. Looking at the numbers, it appears the
17 states were at opposition to everyone else on this, so
18 to speak. Can you give -- pass along some of the
19 reasons the states felt that 10 was the correct number?

20 MR. ISRANI: There were four states which
21 have commented on the integrity rule in general, and
22 there was one state which objected to this criterion.
23 Their comment and argument was similar to what we had
24 initially said for 10 buildings, meaning the 10
25 buildings was mathematically equivalent to having Class

1 3 locations having 46 buildings. And they also had --
2 you know, the 20 building criterion, they had similar
3 concerns, that, you know, it may not cover many of the
4 pipelines, particularly low-stress pipelines.

5 And we are going to address the low-stress
6 pipeline issue later on, what -- how we are considering
7 that option.

8 And they -- other than that, this was the
9 opinion that we are trying to be too lax on this and we
10 should be more conservative on the building count.

11 MS. GERARD: Let me -- let me try that
12 another way. At the last meeting, I think Mike put up
13 some diagrams that showed that if you took the sliding
14 mile that's in the regulation today and created four
15 640-foot circles in that and divided the population
16 count of 46 among those four circles, with a little bit
17 of scatter in between the circles and the rectangle of
18 the sliding mile, that the number that you would find
19 within the circle was 9-point-something and decimal
20 dust and that that is the current basis for Class 3.

21 However, that assumes that you have an even
22 spacing between the distribution of the buildings,
23 which is not really the case in reality and was one of
24 the reasons why we moved to the number 20, because you
25 really don't have an even scatter pattern anywhere.

1 So it's really a hypothetical, but I think
2 that's what Mike was saying as to the reason why the
3 state that commented recommending 10, was they were
4 holding to the value that it was more like the
5 population density consistent with the value we have in
6 Class 3 today.

7 CHAIRMAN KELLY: Further discussion by
8 Committee members?

9 (No response)

10 CHAIRMAN KELLY: Any comments by members of
11 the public?

12 (No response)

13 CHAIRMAN KELLY: Is the Committee willing to
14 accept the position -- the current position of OPS on
15 this matter?

16 MR. DRAKE: I'd like to make a motion to
17 accept the proposal as defined by Mike.

18 CHAIRMAN KELLY: Is there a second?

19 MR. ANDREWS: Second.

20 CHAIRMAN KELLY: All in favor?

21 (There was a chorus of "ayes.")

22 CHAIRMAN KELLY: Any opposed?

23 (No response)

24 CHAIRMAN KELLY: Any abstentions?

25 (No response)

1 CHAIRMAN KELLY: Thank you.

2 Move on to impact radius.

3 Impact Radius (C-FER)

4 (Slide)

5 MR. ISRANI: Impact radius. Here, the goal
6 is to assure that identification of high consequence
7 areas includes the population at risk from potential
8 pipeline accidents.

9 (Slide)

10 MR. ISRANI: And the question was, should the
11 additional safety margin be applied to potential impact
12 circle radius calculated using the C-FER equation?

13 If you recall, at the last meeting we were
14 discussing that we should have some additional safety
15 margins provided over the C-FER equation to take care
16 of the -- this actual explosion patterns that we have
17 seen in some of the recent accidents which -- which
18 tend to be irregular in shape. And the C-FER circle
19 would cover most part of it in an offset setting.

20 But in some of the recent cases, we've found
21 the accidents tend to be more elliptical in shape.
22 They go beyond the circle areas. And -- and
23 particularly -- in particular, we refer to the Carlsbad
24 accident where the offset distance for the accident was
25 within the C-FER circle radius but the distance from

1 the point of explosion to where the accident occurred
2 was beyond the circle.

3 (Slide)

4 MR. ISRANI: So we -- this was a question,
5 and the comments we have received on this one is, you
6 know, industry's current position, as you may have seen
7 in the booklet that was sent by INGAA, is that adding
8 the length of pipe addresses the elliptical impact
9 shape.

10 And the -- one of the comments from state we
11 had was the margin is needed, meaning, as we said
12 earlier, that, you know, we feel that -- before this
13 new concept came about that we should have a safety
14 margin to account for all the irregular shapes of these
15 explosion footprints.

16 Public comment was not to add margin if it
17 would cause any confusion in determining the impact
18 circle.

19 NTSB commented on this issue. They are in
20 favor of having some margin but they -- their main
21 concern was that so long as we considered the
22 horizontal jetting of these in the C-FER equation, then
23 -- that was the main comment, that this would eliminate
24 a lot of the problems that we have seen going beyond
25 the circle. And that's what we have considered, you

1 know, after industry's proposal here.

2 (Slide)

3 MR. ISRANI: So our current position is that
4 we use the C-FER radius without additional safety
5 margin to define potential impact circle to define an
6 HCA. And then, extend the length of the pipeline
7 segment that could potentially impact an HCA on either
8 side by one additional radius to meet our concern for
9 elliptical shape of explosion footprints in many
10 accidents.

11 To make this easier for you, I have a couple
12 of slides to show you. Let's go to those slides.

13 (Slide)

14 MR. ISRANI: Okay. Here's one example of --
15 this is just a hypothetical example of irregular shape
16 of this elliptical -- perimeter that you can see here
17 in the red line. So, for example, if -- if there's a
18 church here, the identified site, and you go with a
19 sliding circle, you'll see at this point you touch the
20 church here and at this point you touch this church in
21 the example here. So your high consequence area under
22 the old C-FER equation method would be HCA, which is
23 from the center line of this circle to center line of
24 this circle. So this -- would have an HCA.

25 And what is being recommended now by industry

1 and what we are seriously considering is to add this
2 additional radius all the way to the end of the circle
3 so we can cover the explosions or anything happening
4 beyond the -- the center line of this pipe. And as you
5 can see in this diagram showing, that if there's an
6 explosion at this point, which is beyond the HCA
7 boundaries, it -- it can still impact the -- the
8 identified site. So using this additional radius for
9 the pipeline segment, we can pretty much satisfy our
10 concern.

11 (Slide)

12 MR. ISRANI: Another example -- this was an
13 identified site. Another example is when you have
14 multiple buildings. For example, if you have several
15 buildings and you are having a sliding circle and you
16 consider 20 buildings in a circle, in this case also
17 you will see from center line of this point to center
18 line of this point, your HCA would have been at this
19 branch.

20 So, if you have an explosion beyond this,
21 this irregular shape shows you -- this irregular shape
22 was based on some of the incidents that we have seen
23 recently, how it kind of goes almost along the pipe --
24 path of the pipeline. That's mainly due to the jetting
25 of the -- the fire or the gas which is released in the

1 direction of the pipe. So, the pattern tends to be
2 this way and it can still impact quite a lot of high
3 consequence areas.

4 So, by including this additional radius on
5 either side, we can pretty much satisfy our concerns.
6 That's what we are trying to achieve and that's what
7 even industry has proposed in this.

8 CHAIRMAN KELLY: How does that compare with
9 using the flux factor, 4000 btus?

10 MR. ISRANI: Okay. Now, if we were to use a
11 4000 flux factor, we would have had a bigger circle all
12 along the pipeline. So we may have covered, you know,
13 a larger area but we probably would have achieved the
14 same length of the segment of the pipe. So we are
15 receiving the same -- like X through Y will become the
16 pipeline segment that will affect an HCA. By using a
17 bigger circle, using -- you know, we would have gone
18 beyond the last circle. We would have been somewhere
19 in this.

20 This would be -- our HCA would have ended
21 here. And by a bigger circle, we would have covered,
22 you know, sort of like this. And it would -- it would
23 have covered this HCA, but we are concerned -- but
24 offset-wise, we would have been a much bigger circle.
25 And then, you know, the -- as we found, there are more

1 and more -- along the length of the pipeline.

2 So this is just one example, and I believe
3 Andy can give more comments on this.

4 CHAIRMAN KELLY: Thank you.

5 MR. DRAKE: In a letter to the members, and I
6 appreciate your indulgence as we are -- such a
7 turbulent issue here as we're trying to close this. I
8 submitted an e-mail that tried to articulate this
9 position and the logic from it.

10 But just for history purposes, it's important
11 to understand that the team, which the DOT was a part
12 of and others, the states, that originally started off
13 on this C-FER circle business understood the elliptical
14 nature of most failures historically and -- but for the
15 purposes of modeling chose to use a circle because it
16 was a little easier to use a circle as a model. And in
17 order to preserve the conservatism, they -- they made
18 the model a little bit bigger in width than in length.

19 And the heat flux factor was one element in
20 that equation, but the constants in the equation were
21 used to help dial the number in when comparing against
22 the actual field data, the actual incident data over
23 history.

24 But the net effect out was that you could
25 change out the -- you know, to some degree you can

1 change out the heat flux value but you'd have to change
2 the constants in the equation to make the circle fit --
3 the circle fit an elliptical pattern.

4 And -- and that's why we kept coming back to
5 the issue about validating against field experience,
6 because it's not really relevant what heat flux factor
7 you use is because you're going to use the constants to
8 dial in the number to make a circle fit an ellipse.
9 But in either heat flux scenario, the circle isn't an
10 ellipse. And the size of the circle is going to change
11 based on the constants.

12 So, the -- the proposed -- the proposal that
13 we're dealing with here is to use the circle, you know,
14 as it's dialed in with the heat flux factor and the
15 constants and the whole string of issues that are
16 embedded in that formula to expect that it's projecting
17 an extraordinarily -- extra confidence on width. But
18 there is a potential to under-project the length, and
19 so to take -- take care of that, you know, that -- that
20 issue that's just fundamental to the design regardless
21 of the heat flux factor, we're making this proposal to
22 add length down the site, you know, to pick up that
23 more elliptical nature.

24 But the two are kind of related, I guess, you
25 know, but the bottom line is the circle was

1 fundamentally chosen because it's a little easier to
2 use a circle to model than the real elliptical nature
3 of it. But in order to compensate for that, we -- you
4 know, we bulked the circle up a little bit and tried to
5 fit it.

6 And that's why those bars that were showing
7 the impact radiuses -- there were four bars -- it was
8 trying to show all these different elements, the length
9 ones and the adjacent ones and where people were and
10 where the damage -- the burn rates were, to try to pick
11 up, is the tradeoff in balance. You know, are you
12 trading length -- you know, axial versus, you know,
13 perpendicular nature of this model. Is it picking up
14 the reality of the situation.

15 So, I offer that just for a little bit more
16 background. I welcome any comments or questions that
17 might exist about how we ended up with an ellipse, but
18 that was the intent.

19 CHAIRMAN KELLY: Thank you.

20 Dr. Feigel?

21 DR. FEIGEL: I don't have any technical
22 issues with this. I'm struggling with how you're going
23 to codify the language in the final rulemaking that
24 will make it evident what you're trying to do and
25 easily understandable by everybody and enforceable and

1 so on and so forth because, quite frankly, I mean, the
2 current position -- I understand that's not regulatory
3 language. It's a description of where you are.

4 And what I see in this slides, I'm totally
5 bamboozled as to how I would implement that, not having
6 been intimately involved in developing it.

7 MS. GERARD: (In progress) -- as we've
8 described how an operator would implement this. In the
9 past the concept would have been to, you know, create a
10 formula using the constants of, you know, the diameter
11 and the heat, the energy, and create a circle
12 appropriate to the size of that energy and run it along
13 the pipeline and determine how many places there were
14 that met the population threshold.

15 So now, instead of running a circle, we're
16 going to describe the proportions of an ellipse and
17 you're going to run an ellipse along the pipeline. No?

18 MR. ISRANI: No, no.

19 MS. GERARD: Okay.

20 MR. ISRANI: No.

21 MS. GERARD: All right.

22 MR. ISRANI: No.

23 MS. GERARD: Make a point.

24 MR. ISRANI: Let me -- let me say this. In
25 our proposed rule, we -- we did indicate, you know, how

1 -- what high consequence areas or what C-FER equation
2 is. We did not say methods of how you determine this.
3 We just said use sliding circle, but we did not show
4 you this -- how the circle -- sliding circle touches
5 the point of the church and then that's the stop point
6 and then you go to other end. By sliding circle, this
7 touches -- we never explained that in the rule.

8 This was explained more in terms of -- in our
9 subsequent workshops that from center point of this to
10 center point, that becomes your HCA segment. If --
11 standard also showed this kind of diagram, the sliding
12 circle where it, you know, where it touches the
13 identified site and the other identified site, the
14 center line from here to here is an HCA segment.

15 All we are saying here, instead of center
16 line, we are saying that the first circle and the last
17 circle that touches the identified site, we go from one
18 end of the circle to the other end. X and Y becomes
19 your segment that can impact an identified site, an
20 HCA.

21 MS. GERARD: What's the difference between
22 that and what I said in practical terms?

23 MR. ISRANI: Well, you were saying the
24 elliptical shape of the explosion, which is what we
25 have considered for some explosions but which is not

1 always the case.

2 MR. DRAKE: What the difference is, is that
3 you will use the C-FER circle to -- to define an HCA.
4 You will pass it down there knowing that it has an
5 elliptical tradeoff. But to help counterbalance that,
6 to -- once you've identified an HCA, you define the
7 boundaries, the extent of it, by adding this -- this
8 issue that has more of an elliptical nature to it.

9 So, once you figure out where it is, you add
10 these radiuses to each end that give it more of an
11 elliptical consideration.

12 MS. GERARD: Well, what if --

13 MR. DRAKE: It's a safety buffer that you're
14 adding. Once you define the HCA, you add this to the
15 boundaries of it to give yourself a little bit more
16 safety buffer to take into effect this elliptical
17 nature or potential.

18 MS. GERARD: What if you looked at the circle
19 and the population inside it was 18?

20 MR. DRAKE: It's not an HCA by --

21 MS. GERARD: But in the extra link there were
22 two more houses.

23 MR. DRAKE: What we're trying to do, I think,
24 is add some conservatism here to deal with a very small
25 percentage of the incidents that do actually exceed the

1 -- the axial prediction of C-FER. The C-FER model was
2 built, as I said, to try to take into consideration
3 that tradeoff fundamentally. And it's only a very few
4 incidents in history that are even showing a capability
5 of exceeding it axially down the pipe. And that --
6 that's the issue.

7 CHAIRMAN KELLY: Mr. Lemoff, you had a
8 comment?

9 Mr. Moore, I'll get to you when the
10 Committee's finished.

11 MR. LEMOFF: I fade in and out of thinking I
12 understand what's being said. Could I ask someone,
13 perhaps Mike or someone else, to take that flip chart
14 and just kind of draw some pictures? Because I'm not
15 sure if the HCA is a square -- a rectangular shape or
16 actually an oval shape. So perhaps someone could draw
17 a picture that would be worth 500 or so words, maybe
18 more.

19 (Pause)

20 MR. ISRANI: ABC Pipeline. This is one of
21 the methods of determining the HCA. Using C-FER
22 circle, and this -- this will be C-FER radius or would
23 be C-FER radius which will be same as Point 69, square
24 root of PD squared.

25 Maximum operating pressure, maximum allowable

1 operating pressure, and damage around the pipeline.
2 You calculate this radius. You draw the circles, and
3 you see where you touch the identified site, slide the
4 circle, and where you touch the other end of the
5 circle.

6 So, this -- this would have been identified
7 -- this would have been the HCA -- as far as HCA is
8 concerned, this would have been the rectangle for --
9 that you consider an HCA. From here to this point.

10 All we are saying is to consider this
11 additional segment -- we're talking about this one and
12 this one -- because some of the patterns that we have
13 seen, elliptical pattern of this. Even if there's an
14 explosion at this point, which otherwise was outside
15 the HCA, would impact this -- this unit. So now you're
16 -- you're still considering HCA to be this zone and
17 this pipeline segment -- additional pipeline segment is
18 a segment which is impacting this high consequence
19 area.

20 MS. GERARD: What I'm understanding from this
21 for the first time is that the only thing that you're
22 considering the additional half radiuses for is that
23 the -- is not for defining the HCA but in doing the
24 assessment.

25 MR. ISRANI: Right, yeah. The whole idea is

1 that segments that can impact an HCA.

2 MS. GERARD: Okay. So this proposal doesn't
3 change the HCA definition, it only extends the mileage
4 on the pipeline that is going to be required to be
5 assessed.

6 MR. ISRANI: This, in other words --

7 MS. GERARD: I'm really glad we had this
8 little talk.

9 MR. ISRANI: Yeah, yeah.

10 (Laughter)

11 MR. ISRANI: Just like in the -- let me say,
12 just like in the liquid rule we had the pipeline
13 segment that can impact an HCA and those segments could
14 be beyond what we had originally identified within the
15 HCA, here we are considering this as additional --

16 MS. GERARD: Could affect.

17 MR. ISRANI: -- could affect an HCA.

18 MS. GERARD: A failure could affect --

19 MR. ISRANI: So --

20 MS. GERARD: -- that additional mileage of
21 pipe --

22 MR. ISRANI: Yeah. So far --

23 MS. GERARD: -- half radius length --

24 MR. ISRANI: Right.

25 MS. GERARD: -- additional --

1 MR. ISRANI: Right. So segment that impacts
2 an HCA would be considered from this point to this
3 point. But for the HCA counting purposes, they would
4 consider these circles as the -- as the HCA identifying
5 circles.

6 MS. GERARD: So it extends the amount of
7 mileage that's required to be tested in a similar way
8 --

9 MR. ISRANI: Yes.

10 MS. GERARD: -- to what the liquid industry
11 assesses --

12 MR. ISRANI: What could impact.

13 MS. GERARD: -- that's outside the HCA but
14 could be affected.

15 MR. ISRANI: Right.

16 MS. GERARD: So they have to assess it.

17 MR. ISRANI: This is what we're considering
18 now.

19 MS. GERARD: Okay.

20 CHAIRMAN KELLY: The square that you've
21 drawn, just for comparative purposes -- I mean, I think
22 we called it a rectangle, but whatever. That is under
23 the original C-FER model, so that would have been
24 reflecting the heat flux factor of 5000 btus?

25 MR. ISRANI: This would be reflecting 5000,

1 yes.

2 CHAIRMAN KELLY: And if it were 4000, you
3 would have --

4 MR. ISRANI: Yeah. If it was 4000, you know,
5 so then we would have bigger circles. So that means we
6 would have -- for example, your impact circle would
7 have been much bigger -- would have been bigger. And
8 then, center line of that would have been -- that would
9 have been here. So then, this would have been your
10 HCA.

11 So, in other words, you are gaining more
12 mileage, but this additional real state was the concern
13 also because that would have added a lot more housing
14 units, a lot more mileage on the pipeline. A lot more
15 HCAs as units.

16 Let me -- let me --

17 CHAIRMAN KELLY: That otherwise should not be
18 taken into account.

19 MR. ISRANI: Right.

20 MS. GERARD: Right. We think we would have
21 been picking up more population but not the right
22 population.

23 MR. ISRANI: Right.

24 MS. GERARD: Because of the typical patterns
25 that occur.

1 MR. ISRANI: And we were originally
2 suggesting which would have gone 15 percent more or 12
3 percent more from original circle. So that would have
4 shifted the center from here to somewhere here. Right
5 now we are saying add this additional entire radius.

6 MS. GERARD: So, if you were adding up all
7 the mileage, you would expect more mileage to be tested
8 using this methodology than if we had changed the heat
9 flux?

10 MR. ISRANI: Well, we are not totally sure
11 because bigger circles may have picked up some more.
12 You know, like if there was a -- for example, if there
13 was a church here at this point, a bigger circle would
14 have picked up that which now we are not picking up, so
15 --

16 MS. GERARD: We don't have any real way to
17 know it.

18 MR. ISRANI: Yeah. Right, yeah.

19 MR. DRAKE: But the point is, is that C-FER
20 circle is -- is conservative on width.

21 MR. ISRANI: Yeah.

22 MR. DRAKE: And making the circle just bigger
23 just makes it extraordinary conservative on width,
24 which is the wrong population. So extending the length
25 deals with the issue about how the model functions

1 against reality better than just making a bigger
2 circle. It's already way conservative on width because
3 the fundamental design was to use a circle to pattern
4 an ellipse. So the circle is already way big on width
5 trying to catch the axial nature of the failure. So
6 making the circle even bigger just makes it even wider
7 than it -- way wider than it needs to be.

8 So the point here is that this change was
9 made to try to pick up with the fundamental design of
10 the model where the -- where the issue is, which is
11 down the pipe, not off the pipe. Does that make sense?

12 CHAIRMAN KELLY: Mr. Lemoff?

13 MR. LEMOFF: So, the way I'm currently
14 understanding it is that this change does not affect
15 how you pick the high consequence area, how you
16 determine the high consequence area. What it does is
17 it increases the amount of pipe that has to be looked
18 at once you have a high consequence area.

19 MR. ISRANI: That's absolutely right.

20 CHAIRMAN KELLY: Any other comments or
21 questions by Committee members?

22 (No response)

23 CHAIRMAN KELLY: Mr. Moore?

24 Oh, I'm sorry. Yes, Mr. Thomas?

25 MR. THOMAS: Yeah, a question related to how

1 this language translates into the rule. As we consider
2 this, we talk about safety margin. Those terms are
3 used in this. And I'll assume that term does not
4 translate into the language in the rule. The rule
5 itself will simply be the parameters of the equation,
6 how it would calculate high consequence and so forth.

7 MS. GERARD: This really, I think, more
8 properly would have gone under the assessment section.

9 MR. THOMAS: Okay. I was just trying to make
10 sure that the safety margin --

11 MS. GERARD: Although you're defining -- you
12 are defining --

13 MR. THOMAS: -- language didn't somehow get
14 into the rule.

15 MS. GERARD: Right.

16 MR. THOMAS: I think it would have been
17 inappropriate there.

18 CHAIRMAN KELLY: Where is OPS recommending
19 that this be placed?

20 MR. ISRANI: We put the slide out how we are
21 recommending. This is not the true language.

22 MS. GERARD: She means in the structure of
23 the rule, but we haven't written the rule yet.

24 MR. ISRANI: Oh, okay. Right.

25 MR. DRAKE: There is some merit to

1 considering this as an HCA issue because it does define
2 -- the HCA -- the purpose of the HCA is to define the
3 scope of where you do the assessment, and this is
4 integral to defining the scope. It defines the length.

5 MS. GERARD: But it's not changing the
6 definition of the HCA.

7 MR. DRAKE: No, but it does define --

8 MS. GERARD: The definition of the HCA
9 remains the same. What is changing is the assessment
10 process.

11 MR. DRAKE: No, it defines the length of pipe
12 that has to be assessed, period, which is the --

13 MS. GERARD: I'm agreeing with you.

14 MR. DRAKE: -- which is the function of the
15 HCA definition.

16 MR. ISRANI: It defines -- it defines the
17 pipeline segment that can impact an HCA, that
18 realistically can impact an HCA.

19 CHAIRMAN KELLY: Dr. Feigel, did you have a
20 comment?

21 DR. FEIGEL: No.

22 CHAIRMAN KELLY: Any other comments or
23 questions by Committee members?

24 (No response)

25 CHAIRMAN KELLY: Mr. Moore?

1 MR. MOORE: (Off mike) Thank you, Ms. Kelly.

2 I -- initially when you guys bamboozled --
3 Dr. Feigel. And I hated to --

4 (Pause as Mr. Moore moved to a new seat with
5 a microphone)

6 (Laughter)

7 CHAIRMAN KELLY: Just make yourself
8 comfortable there.

9 MR. MOORE: I've learned in all these public
10 meetings in the last four months that you do what you
11 have to do to get your point across, I guess.

12 I was trying to help Dr. Feigel in the
13 bamboozlement comment that he had. In the package that
14 the Committee members received a couple weeks ago --
15 this is what my package looks like. I'm assuming the
16 Committee received one that's very similar -- in Tab
17 11, on page 8 and 9, there is recommended rule language
18 that reflects the prior three agenda items that were
19 discussed by the Committee, and two of them were voted
20 upon. And it reflects this discussion as well.

21 Inside that discussion, integrated into it,
22 was the issue of 4000 versus 5000 embodied in the
23 equation for the C-FER equation. The acceptability of
24 the C-FER equation itself is the option for
25 bifurcation, the use of 20 instead of some other number

1 for the number of structures investigated and
2 protected, a definition for identified site which the
3 Committee may want to discuss further before we get
4 done today, the issue of extrapolation, which is the
5 next agenda item, and the concept of the ellipse, if
6 you make one minor language change in the handout that
7 was made.

8 And so, all the discussion points and agenda
9 items did not have specific regulatory language in
10 them, but it would be embodied at this location in the
11 handout the Committee may want to consider.

12 Tab 1 has the list, but if you look on page 9
13 of Tab 11, at the top of page 9 under Subsection C,
14 second line and third line where it says the word
15 "center" in both cases. You substitute the term
16 "outermost edge" in both cases, and that would be the
17 regulatory language to reflect the --

18 MS. GERARD: Where are you, Daron?

19 MR. MOORE: I'm on Tab 11.

20 MS. GERARD: Page 9.

21 MR. MOORE: Page 9, Subsection C at the top
22 of page 9, second line and third line.

23 By the way, my name is Daron Moore, spelled
24 D-A-R-O-N for the record. From El Paso, out of
25 Houston, Texas.

1 To reflect the ellipse discussion that was
2 just taking place, you would substitute in lines 2 and
3 3 of Subsection C on page 9 of Tab 11 the term
4 "outermost edge" for the word "center" in both cases.
5 Lines 2 and 3.

6 And I have two other comments as well, if
7 it's okay to make those now --

8 CHAIRMAN KELLY: Yes.

9 MR. MOORE: -- Ms. Kelly, thank you.

10 We had a mention a while ago about a half
11 radius on each end. In actuality, for the record, it's
12 a full radius on each end as calculated by the
13 particular pipe parameters in place. So I didn't want
14 to have the Committee think that it was only half as
15 much as what it actually would be added on.

16 And the final comment is that I presented in
17 a public meeting on April 25th some data specific to
18 Tennessee Gas Pipeline, which is one of the El Paso
19 Corporation subsidiaries, where we had an average HCA
20 length based on what we had run at 20 houses and 5000
21 btu, et cetera, on the equation.

22 And if you add the full radius on each end as
23 proposed here in the language, you would be effectively
24 tripling the mileage in the HCA definition for
25 Tennessee Gas Pipeline, which would de facto triple the

1 amount of pipe miles which would be expected and
2 managed for greater integrity along the pipeline
3 system.

4 So this elliptical concept is not a small
5 thing at all. It winds up addressing many more people
6 and many more miles of pipe, which is what some of the
7 fundamental goals as mentioned earlier in this meeting
8 today as being a goal of this Committee for this rule.

9 I wanted to make sure the Committee understood the
10 largeness and the amount of pipe that was going to be
11 added for integrity by this language change for
12 ellipses.

13 That concludes my comments. Thank you.

14 CHAIRMAN KELLY: Thank you.

15 Do Committee members have any questions of
16 Mr. Moore?

17 (No response)

18 CHAIRMAN KELLY: Thank you.

19 Are there comments from other members of the
20 public?

21 (No response)

22 MS. GERARD: I guess the -- the difference
23 that I have with Andy, the way he explains this, I
24 think of the high consequence area definition as the
25 government's way of saying, where would the

1 consequences be so great that it's worth adding
2 protection, and that we would define those areas. And
3 we define those areas as a place that within a circle
4 of dimensions defined by C-FER where there are 20
5 SIHOs, that the definition of the high consequence area
6 is all the places among -- besides the identified
7 sites, it is all those places where the concentration
8 of buildings meets the threshold of 20.

9 And that's why I don't think that -- based on
10 what you explained to me here today, that's why I don't
11 think that the affected pipe segment is part of the
12 definition of a high consequence area. You defined the
13 high consequence area when you recommended that the 20
14 building threshold be the threshold we use to define
15 when the consequence is high enough to add protection
16 because you explained to me that you don't run the
17 ellipse down the pipeline, you still are running the
18 circle down the pipeline.

19 And so, I'm just trying to make sure that I
20 understand what we've defined as a high consequence
21 area. It's those identified sites and those places
22 where there's a concentration of 20 buildings inside
23 the circle. But we're prescribing that when you do
24 your risk assessment you add this additional mileage
25 into the risk assessment process.

1 So I -- I bifurcate that in my mind because
2 one's a definition we're setting a value. We've said
3 today our value is any place there's 20 buildings
4 within a certain impact zone of the pipeline, that
5 defines the places we're going to add protection. And
6 then when you start to do your assessment process, you
7 add additional mileage into the assessment process.

8 Am I wrong?

9 MR. ISRANI: That part would be difficult
10 unless, you know, we say that these are the segments
11 which impact HCAs because we --

12 MS. GERARD: That's -- yeah, I agree with
13 you. These segments --

14 MR. ISRANI: Yeah, right. These segments --

15 MS. GERARD: But when we asked the liquid
16 industry to determine what segments could be affected,
17 that wasn't part of the definition of HCA. That was
18 part of the risk analysis. And to me, this is part of
19 the risk analysis, the assessment. And as a result of
20 doing that, you know, you -- you pick up that mileage
21 and protect it.

22 CHAIRMAN KELLY: Mr. Thomas?

23 MR. THOMAS: I think I'd say you're
24 technically correct. I'd also say my expectation is
25 the industry goes downstream using this rule. In the

1 common terminology, HCA will mean the entire length of
2 pipe that is going to be looked at. I just think we'll
3 start using it that way to include the extra --

4 MS. GERARD: Well, the reason I'm having this
5 conversation now is because I know in reality
6 implementing the existing Class 3 and 4 is a nightmare
7 and I don't want to repeat the mistakes of the past.
8 And so that's why here in this room at this time I'm
9 just trying to get it straight, you know.

10 So -- and that's why we split the definition
11 from the rule in the first place, because we were
12 trying to get something done. We defined a definition
13 of what's our value here, what are we trying to
14 protect, what is a high consequence enough -- what's a
15 high enough consequence it's worth adding protection.
16 Not the entire pipeline, it's those places on the
17 pipeline where there is this concentration of
18 population density to meet this threshold within the
19 area of an explosion.

20 When you go to do your protections, you're
21 going to add this additional mileage because it could
22 also be affected.

23 I mean, years from now I just don't want to
24 be in the same place where we've had problems that
25 nobody calculates the sliding mile the same way. And

1 so we're -- I'm just trying to get your advice on --
2 on, you know, synchronizing on a concept here.

3 To me, the place that we've defined as the
4 high consequence area is the people. Where are there
5 this many people. If it was a liquid pipeline, where
6 would there be environmental. It's -- it's the value
7 that we've set here. We've raised the standards to add
8 these additional population as getting protection.
9 It's the people, not the pipe.

10 But you test the pipe. And so when you go
11 into your assessments, we -- we're requiring you to add
12 additional mileage of pipe as part of the assessment
13 process because of what we know about the experience of
14 the way pipelines fail.

15 MR. DRAKE: In the context of the use of this
16 definition beyond just that for scoping where to do
17 work on integrity management, you are correct. I
18 agree. I mean, I've always just looked at it in the
19 context of a scoping vehicle to determine where to do
20 IMP. But if there is a purpose beyond that, then --
21 then you're right, separate the two.

22 MS. GERARD: Well, when all is said and done,
23 oversight agencies will say, how many more people were
24 protected. We raised the safety standards today, we've
25 added protections in these places where these people

1 are, and in addition to that, they'll ask, well, what
2 total percentage of the pipe is going to be tested.
3 And we'll be able to say as a result of this discussion
4 here today we're somewhere between double and triple
5 the amount of pipe we require to be assessed, which
6 from a public standpoint is a very big deal.

7 We didn't change the population density
8 threshold, we changed the requirement for how many
9 miles of pipe is going to be tested.

10 CHAIRMAN KELLY: Mr. Leiss?

11 MR. LEISS: Yeah. I just -- it seems to me
12 that -- I agree with everything that's been said here.

13 I understand it. I think in line perhaps with what
14 Dr. Feigel said earlier, though, I think -- the way I
15 read it anyway, if you use the wording that was -- that
16 was quoted under these tabs for -- that INGAA provided
17 and the other agencies, the other company -- company
18 organizations, I think that it actually changes the HCA
19 definition, which is what you're not intending to do.

20 So I think you need to definitely look at the
21 wording --

22 MS. GERARD: I want to be clear that all the
23 work that's been done to advise us is very important to
24 us, but what we're not sitting here doing is writing
25 the rule language.

1 MR. LEISS: Right.

2 MS. GERARD: What we're doing is getting a
3 record of the advice that this Committee and the public
4 is giving us on how to write the rule.

5 CHAIRMAN KELLY: Any other comments or
6 questions by Committee members?

7 (No response)

8 CHAIRMAN KELLY: So we'll leave the final
9 wording on this to our Counsel Betsock, but I believe
10 the concepts are clear from the discussion.

11 MS. GERARD: I appreciate the Committee's
12 indulgence. I'm a little dense on these matters, as
13 you can see.

14 CHAIRMAN KELLY: No, this is -- this is
15 helpful to all of us.

16 Is the Committee interested or -- to -- in
17 accepting the position of OPS on this matter or with
18 changes?

19 MR. LEISS: I move that we accept the
20 proposed change.

21 CHAIRMAN KELLY: Second?

22 MR. DRAKE: I would second.

23 CHAIRMAN KELLY: Is there any further
24 discussion?

25 (No response)

1 CHAIRMAN KELLY: All in favor?

2 (There was a chorus of "ayes.")

3 CHAIRMAN KELLY: Any opposed?

4 (No response)

5 CHAIRMAN KELLY: Any abstentions?

6 (No response)

7 CHAIRMAN KELLY: All right. Then this change
8 is accepted as well.

9 And I should add that Dr. Willke has joined
10 us.

11 Welcome.

12 Extrapolation.

13 Extrapolation (HCAs)

14 (Slide)

15 MR. ISRANI: Population extrapolation. Here,
16 our goal is to avoid imposition of unreasonable burdens
17 while assuring consideration of entire population at
18 risk for potential pipeline accidents in high
19 consequence area identification.

20 (Slide)

21 MR. ISRANI: The question is, should a rule
22 allow an operator to use data regarding the number of
23 buildings within 660 foot -- 660 feet of pipeline,
24 which is available now to operators because of the
25 existing definition of class location, to infer,

1 meaning extrapolate, the building density in a
2 potential impact circle larger than 660 feet?

3 And the second part of the question is,
4 should this be limited to an interim period of five
5 years to allow operators to collect this additional
6 data on buildings beyond 660 feet?

7 Just, I'll explain that under our class
8 location, we have 660-foot threshold currently and we
9 were concerned about larger diameter pipeline which
10 could have impact beyond 660 feet. So we had this
11 additional proposed requirement to consider these
12 buildings which are beyond 660 feet which is applied to
13 only large operators, operators with pipeline 30 inches
14 and 1000 psi. Beyond that, they will have this circle
15 -- impact circle which would go and impact the
16 buildings there.

17 So -- so this -- the question was, they don't
18 have this data available right -- right away and may
19 not have this data for -- for those buildings beyond
20 this. Should they be given some time? In the
21 meantime, they can extrapolate the data from what they
22 have currently under 660 feet.

23 (Slide)

24 MR. ISRANI: Comments that we received from
25 the industry, that we allow this for -- until December

1 17, '07, which is based on from -- from the time when
2 the Act was written. So by the time the rule comes
3 out, it will be about four years.

4 And there were no comments on this issue --
5 rather, there were no opinion at the public meetings
6 from state and the public.

7 (Slide)

8 MR. ISRANI: And our position is that we
9 allow the interim period up to three years from the
10 date of the rule to gather the data beyond 660 feet for
11 population density.

12 We said three years is adequate time because
13 we are only considering a few operators with large
14 diameter pipeline with very high pressure system. And
15 -- and this -- this will effectually make the
16 difference of only one year. This was a recommendation
17 from our regulators also, that three years should be
18 adequate time.

19 MS. GERARD: And this is the first time we've
20 actually discussed this in a public meeting?

21 MR. ISRANI: This --

22 MS. GERARD: The number three.

23 MR. ISRANI: Right. We -- we had this
24 extrapolation item on the agenda in our past public
25 meetings, but because of time shortage, we never could

1 discuss this issue.

2 CHAIRMAN KELLY: Comments by Committee
3 members or questions? Yes, Dr. Feigel?

4 DR. FEIGEL: What does "identified sites,"
5 mean, Mike?

6 MR. ISRANI: In our proposed rule, we had
7 population density, which was looking at the
8 residential buildings, and then we had the identified
9 sites, which were places where people gather --

10 MS. GERARD: In the final rule. That was in
11 the final rule.

12 MR. ISRANI: In the proposed -- oh.

13 MS. GERARD: Identified sites were in the
14 final rule.

15 MR. ISRANI: Yeah. Our high consequence area
16 final rule, we had these HCA definitions where we
17 considered the housing component and we also considered
18 the -- these identified sites which are places that
19 people gather and also buildings which are hard to
20 evacuate. Buildings which are hard to evacuate are
21 like, you know, hospitals, you know, jails, and other
22 areas. Those are identified sites, what we call.

23 DR. FEIGEL: Is that term consistently used
24 elsewhere?

25 MR. ISRANI: It is used in our final rule HCA

1 and we've been using that term, yes.

2 DR. FEIGEL: A much more common and
3 understandable term that I think describes the same
4 thing that is used widely in state regulations is
5 simply places of public assembly.

6 MS. GERARD: That -- that is part of the
7 final rule that already exists. So if you would be
8 proposing to change that, I think that would be beyond
9 the scope of the proposal we have on the table. Not
10 that you couldn't make that recommendation. I believe
11 it's beyond the scope.

12 CHAIRMAN KELLY: Yes, it is.

13 Are there any other comments --

14 MS. GERARD: Where were you when we needed
15 you?

16 (Laughter)

17 CHAIRMAN KELLY: Any other comments or
18 questions by Committee members?

19 (No response)

20 CHAIRMAN KELLY: Any comments or questions by
21 members of the public?

22 (No response)

23 CHAIRMAN KELLY: Is the Committee prepared to
24 --

25 MS. GERARD: There's one from the public.

1 CHAIRMAN KELLY: Come forward, Mr. Moore.

2 MS. GERARD: Mr. Boss.

3 CHAIRMAN KELLY: I'm sorry. Mr. Boss. And
4 please identify yourself and your organization.

5 MR. BOSS: This is Terry Boss with INGAA.

6 I think some of the comments that the
7 industry made alluded to some of the definitional
8 changes that are in HCA on identified sites tried to
9 clarify some of the language, which I think was one of
10 your objectives, was to get a clear language on that.
11 And I think probably some of the discussion on those
12 definitions, even though you're not writing rule
13 language today, I think would be helpful because there
14 was a lot of confusion on the exact sites and how they
15 were described.

16 MS. GERARD: Did you raise this in your
17 petition?

18 MR. BOSS: Yes. Yes, we did.

19 MS. GERARD: So if it was raised within the
20 petition --

21 MR. BOSS: So I'll just leave it at that for
22 the Committee.

23 MS. GERARD: -- would that change it?

24 CHAIRMAN KELLY: Thank you.

25 Any other comments or questions by the

1 Committee?

2 MS. GERARD: I want to correct this. If it
3 was raised within the petition, then according to
4 procedure, we might be able to consider Mr. Feigel's
5 comment.

6 MS. BETSOCK: We can always consider things.
7 The question that we will -- we will have even if it's
8 raised in a petition is whether any new proposal needs
9 to be published and submitted for comment -- for public
10 comment.

11 So, to the extent that we would decide to
12 change something that's already in final rule stage, we
13 -- we may have to -- to re-propose.

14 DR. FEIGEL: My point isn't material. It's
15 simply one of clarification. I mean, I'm a great
16 believer in clear -- clear, lucid language that, you
17 know, the common man can understand if that's possible,
18 even in regulations. That's all.

19 MS. GERARD: Even in regulations.

20 (Laughter)

21 MR. ISRANI: If you had put this in the
22 regulation language, Dr. Feigel, if you had put this in
23 the regulation language, we would have put in
24 parentheses what we mean by identified site. We would
25 have clarified. This is for a slide where we did not

1 put that.

2 CHAIRMAN KELLY: Any other questions or
3 comments by Committee members? Mr. Moore?

4 MR. MOORE: Daron Moore. In the petition for
5 reconsideration that industry filed, I believe, in
6 September of 2002 -- it may have been in October 2002
7 but it was last fall -- there was a discussion in that
8 document concerning some parts of the identified site
9 definition, specifically the use of commercially and
10 publicly available databases and the applicability of
11 that inside the definition, the difficulty, and non --
12 lack of clarity I guess would be a better way of
13 putting it, for industry in trying to implement that.

14 Furthermore, there was discussion along the
15 lines of intrusiveness and invasion of privacy on some
16 of the potential issues surrounding looking for
17 facilities that house difficult-to-evacuate persons or
18 persons of limited mobility, impaired mobility.

19 And it would seem prudent to me that with
20 that petition for reconsideration on the table that the
21 Committee consider and possibly give guidance to OPS on
22 what the definition of identified site should be as it
23 regards to the specific petition for reconsideration.

24 Certainly many of the areas of that -- many
25 of the areas of the definition of identified sites is

1 adequate, good, and -- and should be in the -- in the
2 final HCA definition, but those particular --

3 CHAIRMAN KELLY: The petition for
4 reconsideration, that relates to the final rule on the
5 definition of HCA?

6 MR. MOORE: Yes, ma'am. It relates to the
7 final rule for the definition of HCAs which was
8 published, I believe, on August 7th, 2002.

9 MS. BETSOCK: The petition isn't currently
10 before the Committee. I'm not even sure the
11 Committee's ever actually been provided a copy of the
12 petition. At some stage, when we -- we proceed to act
13 on the petition separately from this final rule, some
14 of the issues are going to be addressed in this final
15 rule. But to the extent that those issues are not
16 addressed and we re-propose on some issues, if decided
17 to, that would come before the Committee at that time.

18 CHAIRMAN KELLY: I think at this point, then,
19 it would not be appropriate for the Committee to take
20 any formal action on this, but there have been comments
21 made that I believe OPS should take into account as it
22 considers the petition that has been presented by the
23 industry on that particular matter.

24 MR. DRAKE: I would agree. And I have to
25 admit, we're doing a very good job of trying to, you

1 know, parse off the issues and stay focused on the
2 issues, but this issue is, as Stacey alluded to earlier
3 in her definition of the ellipse and the HCA
4 definition, very intertwined. There is a standing HCA
5 definition rulemaking that we're not really talking
6 about except this rulemaking modifies or augments that
7 rule. So they are kind of intertwined.

8 And I appreciate Dr. Feigel and Daron Moore's
9 position because it's hard to know where to draw the
10 line in the air where we're talking about a petition of
11 reconsideration that has direct ramifications on the
12 HCA definition. Is it on that side of the fence or
13 this side of the fence? The HCAs --

14 CHAIRMAN KELLY: Well, in terms of -- in
15 terms of action, it's on the other side of the fence.
16 That is, if the Committee members -- if there was a
17 consensus here that we have clarity and compatibility
18 and definitions in areas that are equally affected,
19 then we can certainly let the record reflect that.

20 Is that the consensus of the body here?

21 MR. DRAKE: I think it's appropriate, as
22 Barbara Betsock mentioned, it's appropriate for this
23 Committee, because they are intertwined, to be apprised
24 of the response to the petition for reconsideration so
25 that we know how it plays out in aggregate. Because it

1 does affect it and you can't talk about one without
2 talking about the other at some point because they do
3 play together.

4 MS. GERARD: And certainly, the rural church
5 issue which is before this group was an item from the
6 petition, and the extrapolation of the data. I mean,
7 what we were trying to do with this proposal was
8 address several of the concerns in the petition, you
9 know, so -- and we are trying to address your concerns
10 by, you know, some of the things that we've picked up.

11 So, I mean, the reason I mentioned the
12 petition was the question of Dr. Feigel, but the
13 extrapolation issue goes to the petition as well
14 because it was the burden of the data gathering, and so
15 we were trying to relieve the burden of data gathering
16 by giving you time and a way to do it through
17 extrapolation. And what's on the table here is how
18 long should we give you to use an extrapolation method
19 rather than burden you with the data gathering.

20 And since we've seen you and we discussed it
21 among us regulators, we thought that maybe three years
22 was enough, and that's what we're asking your advice
23 on.

24 MR. DRAKE: Well, I think you just
25 illustrated the problem here. You're addressing some

1 of the issues in the petition for reconsideration with
2 this rulemaking but not others. And we don't know
3 which ones are which, and that's why you've kind of got
4 this -- this going on right now.

5 CHAIRMAN KELLY: Well, I think what we'll
6 have to do is actually -- is try to bifurcate them
7 because we're operating based upon information that was
8 put out in the public notice for the purpose of this
9 meeting. Not only the public notice, which is, you
10 know, foremost in our minds in terms of what our
11 authority is here today, but also because most of the
12 people around this table are not privy to the
13 information that you happen to know because of your
14 position in the industry.

15 So we cannot address the issues in the
16 petition in a straightforward fashion. They may come
17 to us at some point, but I believe by letting the
18 record reflect the consensus of the body that
19 definitions are clear and consistent and that OPS bear
20 those in mind as it proceeds with its consideration of
21 the petition for reconsideration as well as in the
22 technical language that addresses this rule that the
23 message is there.

24 And I just want to make sure that that is the
25 consensus position of the body. Does anyone disagree

1 with that?

2 (No response)

3 CHAIRMAN KELLY: I think that's as much as we
4 can do for you, Mr. Moore.

5 MR. MOORE: Thank you, Ms. Kelly.

6 MS. GERARD: Where are we on the three years?

7 CHAIRMAN KELLY: We are still on the
8 extrapolation issue, and the three years as presented
9 by Mr. Israni is the OPS position.

10 Is there any further discussion by Committee
11 members on that? Mr. Thomas?

12 MR. THOMAS: Yeah. I would just comment that
13 -- well, the primary way in which we would gather the
14 data would be aerial photography. I guess there are
15 other ways, but that's our traditional method. The
16 three years is well short of our typical cycle for
17 doing that. At least in our company --

18 CHAIRMAN KELLY: Your typical cycle is how
19 long?

20 MR. THOMAS: Hmm?

21 CHAIRMAN KELLY: Your typical cycle is?

22 MR. THOMAS: Well, it -- it depends. We
23 would look at the population growth, the growth --
24 well, the population in the area and then the growth
25 trends within that area. I mean, it could be -- it

1 could be as few as two or three years in a very high
2 growth area, but typically it could go five-plus years.

3 I mean, it could go six, seven, eight years in -- in
4 rural areas.

5 Of course, that's supplemented by the
6 observations of operations and aerial patrols so that
7 we're always updating the records. I'm just talking
8 about the aerial photography itself, which is really
9 the expensive part of getting this done.

10 So three years would be sort of well short of
11 the cycle that we would normally think about. And that
12 leads to then that there would be some excess cost in
13 doing it on that -- on that three years as opposed to
14 five years, which would be closer to an average cycle.

15 CHAIRMAN KELLY: Mr. Israni?

16 MR. ISRANI: I just want to make -- make it
17 clear that five years as proposed by industry was from
18 the time the Act was written. So you've already lost
19 one year there. So that makes four years.

20 Here we said three years from the date the
21 rule is final, so you know, the difference would be
22 four years and three years.

23 MR. THOMAS: I agree, and we would like for
24 it to be from the date of the rule because that's when
25 -- when this will be effective.

1 CHAIRMAN KELLY: Is there any further
2 discussion? Any further questions from Committee
3 members?

4 (No response)

5 CHAIRMAN KELLY: Any further comments by the
6 public?

7 (No response)

8 CHAIRMAN KELLY: Does the Committee have a
9 position on this?

10 (No response)

11 CHAIRMAN KELLY: The Committee has no
12 position on this?

13 MR. DRAKE: I would move that we approve it
14 as worded by Mike.

15 CHAIRMAN KELLY: All right. It's been moved
16 that we accept the proposal by OPS. Is there a second?

17 PARTICIPANT: Second.

18 CHAIRMAN KELLY: Is there any further
19 discussion?

20 (No response)

21 CHAIRMAN KELLY: All in favor?

22 (There was a chorus of "ayes.")

23 CHAIRMAN KELLY: Any opposed?

24 (No response)

25 CHAIRMAN KELLY: Any abstentions?

1 (No response)

2 CHAIRMAN KELLY: Thank you.

3 Plastic pipe.

4 (Pause)

5 MR. ISRANI: I'm trying to look for my
6 plastic pipe. Hold on. The agenda item in my --
7 didn't have time to change my slide.

8 Plastic Pipe

9 (Slide)

10 MR. ISRANI: Plastic transmission pipe. Our
11 goal is to provide enhanced protection to high
12 consequence areas when standard assessment techniques
13 would not work.

14 (Slide)

15 MR. ISRANI: The question is, what assessment
16 requirements should be applicable to plastic
17 transmission pipelines? And what operational and
18 failure experience exist for operational plastic
19 transmission pipelines? For example, number of
20 failures, causes, conditions contributing to failures.

21 (Slide)

22 MR. ISRANI: The comments on the plastic
23 pipeline we received from the industry are, is there
24 limited mileage and low pressure pipeline, that threat
25 of concern is damage from the third party, and to rely

1 on the enhanced preventive and mitigative measures.

2 And the comment from the state we received is
3 to support -- they support the industry position.

4 And we didn't receive anything on the public
5 or they were silent on this issue.

6 (Slide)

7 MR. ISRANI: So our current position is --
8 what we're considering is to impose no assessment
9 requirements and that we require preventive mitigative
10 measures consistent with all low-pressure pipelines and
11 that we require reliability analysis based on plastic
12 pipe database. These reliability analyses I mean --
13 what I mentioned earlier in the question, that you
14 know, the number of failures, causes, conditions
15 contributing to failure, all this kind of database.

16 So the current position is we impose no
17 assessment requirements for plastic pipelines --

18 MS. GERARD: If I could interject here, as --
19 as far as I understood, and I didn't catch this before,
20 the law requires us to assess but we can define what
21 that assessment is. And the assessment would be a
22 reliability analysis. We wouldn't require pigging,
23 hydrostatic testing, or direct assessment, we would
24 require to assess plastic pipe of reliability analysis
25 because I don't think the law gave us any option.

1 The law didn't provide any exceptions, did
2 it, Barbara?

3 So -- but it gives us the opportunity to
4 define assessment.

5 MR. DRAKE: Yes. And I think that you --
6 you've already gotten to this place where you're
7 defining preventive and mitigative measures. I don't
8 have any of these, but just sitting at the table
9 listening to -- this has evolved, the reason that you
10 got to this place is because you did an assessment of
11 the threats and how they are realized and how they are
12 managed. And this is the tools that are the most
13 appropriate tools to manage the threats as a result of
14 the assessment.

15 So the assessments, I think -- I'm looking to
16 the LDC folks here, but I think the assessment was
17 conducted that yielded this directive and that perhaps
18 just has to be documented so that it's on record
19 somewhere.

20 MS. GERARD: I just want to correct the
21 record, that it doesn't say "impose no assessment
22 requirements" because there is an assessment that
23 yields this result.

24 CHAIRMAN KELLY: Yes. Would you identify
25 yourself and your affiliation for the record, please?

1 MR. BENNETT: I'm Phil Bennett with the
2 American Gas Association.

3 We agree in substance with what you're
4 saying. I think we do believe -- in our comments, we
5 think you do have some flexibility in assess -- in
6 determining the type of pipelines that you believe
7 should be in an integrity management program. Congress
8 did not talk about plastic transmission lines. I don't
9 think they were aware of their existence. Your NPRM
10 never mentioned plastic pipelines.

11 So it really wasn't part of the notice and
12 comment procedures, but there are some plastic pipes.
13 There -- they -- the threat level does not reach the
14 intent of the steel lines that Congress wanted to deal
15 with.

16 I think your proposal really deals with it in
17 an appropriate way of looking at it and saying they
18 should not -- plastic pipe should not go through the
19 integrity management requirements of Section 763, but
20 there are ways of dealing with it with preventive and
21 mitigative measures.

22 One of the things that we didn't explain in
23 our comments in detail, what preventive and mitigative
24 measures would be appropriate because plastic pipes
25 were something new when we came out and -- and raised

1 the issue in the public meeting. Some of the measures
2 for low-stress pipes are appropriate. For -- others,
3 really, are not. I think plastic pipe, you focus on
4 the damage prevention methods because that's really
5 where it's acceptable. The corrosion leaks don't occur
6 so you really don't worry about more leak patrol. You
7 do worry about third party damage with plastic pipes.

8 And I think Jim Wunderlin does have some
9 plastic pipes and he's put some material together to --
10 to help and share with the Committee, if -- if that's
11 appropriate.

12 MR. WUNDERLIN: Yes, Jim Wunderlin, Southwest
13 Gas. We are one of the few companies that do have a
14 definitional amount of plastic transmission. In fact,
15 we have one mile that we reported to DOT. It's a, I
16 believe, a four-inch, 60-pound plastic system that
17 meets the functional definition of a plastic pipe.

18 What I'm passing around --

19 MS. GERARD: And it's a transmission line?

20 MR. WUNDERLIN: It's a transmission line by
21 function.

22 Now, we at this point haven't determined
23 whether that'll be a high consequence area or not. I
24 think the only way that it could be is if it ended up
25 in a Class 3 and 4 location and we declared class --

1 all of Class 3 and 4 as HCAs.

2 The one thing to point out is that the
3 handout previously from INGAA does not contain any
4 language. And so what I'm handing out, which really
5 follows up on -- Phil's comment -- there's really three
6 parts to this handout. One is sort of the -- the
7 introduction that really says we agree with OPS that
8 there should be no integrity assessment under 192.723
9 for plastic pipe. And there's a number of reasons for
10 that because it doesn't lend itself to close interval
11 surveys, pigging, those types of assessment tools that
12 we've been talking about.

13 The middle part of the front page here is
14 some recommended language. What the recommended
15 language says is that we can add one sentence to -- one
16 sentence to exclude plastic from 192.763 but we can --
17 we can add back in Section 192.614, modify that so that
18 one line is added for plastic pipe so that it -- it
19 does take into account, you know, considerations for
20 third party damage.

21 And in addition to that, we do have the
22 plastic pipe database collection process that is
23 underway right now. The pipeline information is being
24 collected and the data is being evaluated, and we think
25 that takes into account your second question about how

1 to analyze the data for plastic pipe.

2 So, really, there's -- there's adding the one
3 sentence that's underlined towards the bottom of the
4 first page and then adding a new sentence, E, the top
5 of the second page, that would put plastic transmission
6 pipelines in Class 3 and 4 would comply with 192.763 as
7 far as damage prevention.

8 MS. GERARD: Well, just to remake the point I
9 made earlier, our focus in this meeting isn't on
10 writing the rule language but getting the concepts
11 down. And I think that everybody has said that the
12 concept we have is appropriate and that you should
13 leave to us exactly how to structure it, you know, and
14 whether or not we call it an assessment but a different
15 kind of assessment.

16 CHAIRMAN KELLY: Any further comment? Mr.
17 Comstock?

18 MR. COMSTOCK: Mike Comstock. The
19 requirement for the reliability analysis, do you have
20 some ideas on timing on how that would fall out? Is it
21 -- does it congrue with the rule itself? Is there time
22 set in the rule for operators to provide that? Is it
23 something that would be fleshed out later? I see a
24 sentence up there, but I don't see any time applied to
25 it.

1 MS. GERARD: It would have to be done within
2 10 years unless it was in the riskiest first half.

3 MR. ISRANI: Right. This -- this is part of
4 the integrity rule that we have these time frames. All
5 we are saying here is if you are -- what we are
6 proposing is it requires preventive, mitigative
7 measures, still you have a 10-year time frame.

8 MS. GERARD: What we're saying is, Mike, we
9 have to say that the reliability analysis would be the
10 required assessment and that that would have to be done
11 within the time of your 10-year window.

12 MR. ISRANI: Right, right.

13 CHAIRMAN KELLY: Any other comments or
14 questions?

15 (No response)

16 CHAIRMAN KELLY: Is the Committee
17 comfortable, then, that -- that the approach that we've
18 discussed as being the position of OPS is acceptable?
19 And that's whether it is called an assessment, and I
20 can tell you, I'm not that comfortable with saying that
21 anything should be exempted from being assessed but
22 rather --

23 MS. GERARD: It's an appropriate --

24 CHAIRMAN KELLY: -- it's an alternative
25 method of -- of assessment.

1 But to the extent that you would be
2 comfortable given the comments that have been -- with
3 leaving the technical language of that to OPS to draft,
4 I'll accept a motion.

5 PARTICIPANT: So moved.

6 PARTICIPANT: Second.

7 CHAIRMAN KELLY: Any further discussion?

8 (No response)

9 CHAIRMAN KELLY: All in favor?

10 (There was a chorus of "ayes.")

11 CHAIRMAN KELLY: Any opposed?

12 (No response)

13 CHAIRMAN KELLY: All right. So that is to
14 accept the position as discussed.

15 Low-stress pipeline.

16 Low-Stress Pipeline

17 (Slide)

18 MR. ISRANI: Low-Stress Pipeline. Here, our
19 goal is to reduce assessment burden for pipe not
20 expected to fail by rupture but still provide enhanced
21 protection for high consequence areas. As we all know
22 that low-stress pipeline are most likely to -- to leak
23 before they rupture, so that's why it needed different
24 consideration under the integrity management rule.

25 (Slide)

1 MR. ISRANI: So, the question is, should
2 assessment requirements for low-stress pipeline
3 operating at or above 20 percent SMYS but less than 30
4 percent SMYS allow the use of only CDA, which is the
5 confirmatory direct assessment, for reassessment, and
6 baseline being same as DA or pressure tests or ILI?
7 That's the first part of the question.

8 What we're doing is we're bringing it down
9 between 50 and 30 percent and then from 30 to 20
10 percent, 20 to 20 percent and less of the pipeline. In
11 the proposed rule, we had only above 50 percent and
12 below 50 percent. So this is the first proposal to
13 take care of pipelines between 20 and 30 percent, low-
14 stress pipeline.

15 Second part of the question is, should the
16 assessment requirements for low-stress pipeline
17 operating below 20 percent SMYS allow use of CDA for
18 both baseline and reassessment in lieu of the full-
19 fledged direct assessment or pressure testing or smart
20 pigs and whether we allow only CDA for both baseline
21 and reassessment.

22 And third part of the question is, should
23 preventive and mitigative measure requirements in Class
24 3 and 4 locations outside of the impact circles be
25 enhanced to provide added assurance? And I'll explain

1 this later.

2 Let me go to the next slide to show you what

3 --

4 (Slide)

5 MR. ISRANI: This is what explains the
6 position, what I put in the questions. This -- this is
7 our -- what we -- okay. Before I go over
8 considerations, let me go over comments. Let me back
9 up one more.

10 (Slide)

11 MR. ISRANI: Comments we received from the
12 industry are to use B31.8S, which is a supplement to
13 B31.8, intervals -- use the B31.8S intervals and
14 preventive and mitigative measures should be only
15 provided.

16 And the states' comment was that -- one of
17 the -- a state person said that intervals should be
18 longer for low-stress pipeline and one state said the
19 intervals should be shorter.

20 And the public comment was that we should
21 have a full baseline for this, and there are no further
22 comment on the -- how we arrange the reassessment,
23 meaning they didn't want to cut short on the baseline
24 assessment for any stress -- low-stress pipeline.

25 (Slide)

1 MR. ISRANI: This is our current position.
2 Between 20 and 30 percent, we are saying the baseline
3 assessment to be regular, like DA, ILI, or pressure
4 testing. And the reassessment period to 20 years and
5 with CDA required at seventh and 14th year, which is by
6 law.

7 And for the Question B, less than 20 percent
8 SMYS, we are considering baseline as a CDA, which is a
9 10-year period, and the reassessment only CDA, which is
10 every seven years as required by the Act.

11 And the third part of the question is, in
12 Class 3 and 4 locations, we'd like to have additional
13 preventive and mitigative measures. And this -- I
14 would -- for Part C, I would like to clarify that when
15 we consider 20 building criteria for the building
16 count, our concern was the low-stress pipeline which
17 have very low pressure and their impact circle may not
18 be big enough to get the house count.

19 And in the existing Class 3 and 4 locations,
20 we heard some concerns about the gas migration which
21 could cause failure. And we may have an entire Class 3
22 or 4 location with no HCA because of the small C-FER
23 circle for those. But there have been some accidents
24 due to gas migration and -- and some other causes, so
25 we wanted to have additional preventive and mitigative

1 measures in Class 3 and 4 locations for the operators,
2 even those who would choose a circle method.

3 (Slide)

4 MR. ISRANI: So this -- this breaks down our
5 current position. And after the panel recommendations,
6 I believe AGA -- has some kind of presentation to
7 expand on this Part C, what we require in -- under
8 Class 3 and 4 locations.

9 MS. GERARD: I have a question, Mike.

10 MR. ISRANI: Yeah?

11 MS. GERARD: Under the wording of "current
12 position," you say "require CDA only for reassessment,
13 extend reassessment interval to match B31.8S at 20
14 years." As I read that, it looks contradictory.

15 MR. ISRANI: Where is that? Under the
16 questions, you're saying?

17 MS. GERARD: Yeah. I mean, the -- it really
18 should be clearer that the CDA for reassessment is at
19 seven years as the law requires. You said, "then
20 extend reassessment intervals to match B31 -- at 20
21 years." We don't have the option of extending the
22 reassessment intervals to 20 years. That's confusing.

23 (Slide)

24 MR. ISRANI: Okay. Twenty-one. Okay.
25 Reassessment 20 years, plus CDA at seventh and 14th

1 year.

2 This reassessment 20 years, what we are
3 saying is that --

4 MS. GERARD: With CDA.

5 MR. ISRANI: Yeah, with CDA.

6 MS. GERARD: What's confusing isn't the slide
7 but the handout where you had -- you had, under
8 "current position," wrote what we were considering. So
9 I just didn't want there to be any confusion about
10 that. "Require CDA only for reassessment" --

11 MR. ISRANI: Oh, I see. Okay. Yeah. We --

12 MS. GERARD: It's a combination.

13 MR. ISRANI: Yeah. Here is a combination.
14 Like, you know, under the ASME B31.8S, pipeline less
15 than 30 percent SMYS, your regular reassessment time
16 frame will come after 20 years. And -- and we are
17 adding this CDA seventh and 14th year. So our position
18 is baseline regular DA, and reassessment, your regular
19 comes after 20 years for the pipeline in this 20 and 30
20 percent range.

21 MS. GERARD: We meet the requirements of the
22 law for the seven year retest --

23 MR. ISRANI: Right.

24 MS. GERARD: -- by use of the CDA.

25 MR. ISRANI: That's correct.

1 MR. DRAKE: Perhaps you could restate the
2 issue about reassessment at 20 years. You could change
3 that. Because CDA is an assessment.

4 MS. GERARD: Exactly.

5 MR. DRAKE: And I think maybe that's where
6 the snag is coming in.

7 MS. GERARD: Confusion.

8 CHAIRMAN KELLY: What would you suggest?

9 MR. ISRANI: I would ask that -- you know --

10 MS. GERARD: I think we -- we understand it.

11 MR. ISRANI: Yeah. Reassessment, I would say
12 the DA every 20 years; DA, ILI, or pressure test every
13 20 years, plus CDA on seventh and 14th years.

14 MS. GERARD: I would reverse it and say you
15 do the CDA every seventh and 14th year and, as your
16 program determines --

17 MR. ISRANI: Yeah, right.

18 MS. GERARD: -- the other types of assessment
19 -- reassessment.

20 MR. ISRANI: Yeah.

21 CHAIRMAN KELLY: Any additional questions or
22 comments by Committee members?

23 MR. WUNDERLIN: I think, like Mike said, this
24 -- this is a complicated issue, and I think Paul
25 Gustilo has a flow diagram that would be helpful for

1 the Committee to have him walk through. And although
2 it doesn't simplify it completely, I think it will help
3 us see how low-stress pipeline assessment and
4 confirmations, et cetera, work.

5 CHAIRMAN KELLY: All right, Mr. Gustilo.

6 MR. WUNDERLIN: So why don't we have --

7 CHAIRMAN KELLY: Would you come up, please?

8 MR. WUNDERLIN: I'll pass around a copy of
9 his --

10 MR. GUSTILO: Can I put a chart on the
11 screen?

12 CHAIRMAN KELLY: Go on over.

13 (Pause)

14 CHAIRMAN KELLY: State your name for the
15 record, please, and your affiliation.

16 MR. GUSTILO: Paul Gustilo with the American
17 Gas Association.

18 I have some extra copies if members of the
19 public want them.

20 Mike, can you put on the presentation for me?

21 (Slide)

22 MR. GUSTILO: Okay. Let's see. Does
23 everybody have a copy of that now, all the Committee
24 members? I'll wait until all the Committee members
25 have it.

1 What we want to -- what we're trying to
2 present here is what AGA has submitted to the docket on
3 the low-stress proposal. And it was -- it's on the --
4 in the book that the TPSSC members received, it's Tab
5 -- Tab 14. You don't have to look at it right now,
6 but really, what we're trying to do is explain Tab 14.

7 It seems -- there seems to be some confusion
8 on what -- what the proposal actually is, so let me
9 just walk through this.

10 Okay. This is broken up based on which
11 option you use for the HCA. So it sounded like there
12 was agreement to do the two-pronged approach.

13 So if you go to Option 1, Option 1 means that
14 operator declares all Class 3 and 4 pipe as HCAs and
15 you look for all identified sites within the pipeline
16 impact circle in Classes 1 and 2. So we'll go down
17 this track first.

18 It's the first thing you determine, so you
19 have an HCA. So what you do is you -- you have to do a
20 baseline: ILI, pressure test, and DA regardless of
21 stress level.

22 So what we're proposing is actually more
23 stringent than what Mike just showed. Mike had broken
24 it up between 30 and 20. Mike was -- slide showed that
25 below 20 you just do a CDA for baseline. We're

1 actually proposing that -- that you do just ILI,
2 pressure test, or the full DA.

3 Then --

4 MS. GERARD: Could you repeat that, Paul?

5 MR. GUSTILO: Okay. In -- in what we're
6 proposing that -- under Option 1 -- so after you
7 determine you're an HCA, regardless of stress level, if
8 you're a transmission line in an HCA, you do a baseline
9 using in-line inspection, pressure testing, or direct
10 assessment.

11 MS. GERARD: That's no different than what
12 Mike proposed?

13 MR. ISRANI: Right. Yeah, that's the same
14 thing what I showed on the slide.

15 MR. GUSTILO: What you showed was if you were
16 below 20 percent SMYS, you just do a CDA --

17 MR. ISRANI: Right.

18 MR. GUSTILO: -- as a baseline. So that's
19 different. That's the difference.

20 MS. GERARD: Okay.

21 MR. GUSTILO: That one piece.

22 Okay. Now, you've done your baseline. We do
23 the preventive -- P & M is preventive and mitigative
24 measures, and I'll show you -- I think -- I'll show you
25 that on the next slide. But you do excavation damage

1 prevention measures as proposed in the -- some of the
2 amendments that are in this INGAA handout, the AGA-
3 INGAA handout.

4 Okay. So the next trigger is, are you low-
5 stress? If you're low-stress, meaning less than 30
6 percent SMYS. If no, meaning you're high-stress,
7 greater than or equal to 30 percent SMYS, you follow
8 the CDA every seven years, maximum assessment interval
9 10 or 15 years. This is all consistent with the ASME
10 B31.8S.

11 If you're low-stress, as Mike just said, CDA
12 every seven years, but our proposal was that there was
13 an "or" there. It's, or preventive and mitigative
14 measures, and I'll show you those on the next slide.
15 But we -- that was our proposal, that you have a choice
16 to do CDA every seven years or preventive and
17 mitigative measures to address corrosion.

18 MS. GERARD: I don't think the law allows for
19 us to let you out of doing a reassessment every seven
20 years.

21 MR. GUSTILO: Well, I'll -- I'll show you the
22 next slide, which we're talking about doing electrical
23 surveys every seven years and I'll talk about the
24 differences in the next slide.

25 But really, you're still -- you'll still have

1 -- you still have to do a -- a ILI, pressure test, or
2 DA at the full 20 -- maximum 20 years, as Mike just --
3 just proposed.

4 So the difference is here, right here. This
5 is -- this is our proposal, is that you have an option
6 to use preventive and mitigative measures.

7 MS. GERARD: Plus the electrical survey.

8 MR. GUSTILO: Which is -- which is electric
9 survey -- Mike, can you just go to the next slide so we
10 can just talk about that now?

11 (Slide)

12 MR. GUSTILO: Okay. This is what we're
13 talking about. This is -- if you go to this column
14 here, so you're an HCA low-stress, in between the full
15 20-year in-line inspection, DA, or pressure test. This
16 is what we had proposed in the amendment. You do an
17 electrical survey every seven years if you're
18 protected, if it's a cathodic-protected piece of pipe.

19 If it's unprotected, then you do quarterly
20 leak surveys. And then every year and a half, you
21 determine areas of active corrosion. The current code
22 -- I think it allows you three years.

23 So we -- we propose that this is the interim
24 assessments to -- to meet the letter of the law or the
25 congressional intent. We feel that electrical surveys

1 are different from CDA.

2 I think, Mike, you had a slide -- you didn't
3 show your slide, but you had a slide in your handout
4 that showed the difference between DA and CDA.

5 We feel that, you know, low-stress lines,
6 they do have a different failure pattern. You have the
7 leak versus rupture for corrosion. You don't warrant
8 the full-blown direct assessment.

9 We have some concerns with CDA. You know,
10 it's not -- it's not fully -- I mean, it is defined.
11 You're defining it in a rule, but we think there are
12 still a lot of questions about CDA and it might be
13 better deferred to the -- at least in the interim, the
14 ASME B31.8S standard, which is already looking at
15 trying to write some language for confirmatory direct
16 assessment.

17 Okay. But this is the -- this is the P & M
18 for corrosion.

19 Mike, if you can go back to that first slide?

20 (Slide)

21 MR. GUSTILO: Okay. So that's -- that's --
22 if you followed option -- the Option 1 track.

23 The Option 2 track is if you use the C-FER
24 equation as the pure circle approach -- I guess we use
25 that term -- which is, you know, you look for 20

1 buildings or more in a -- within your PIC and you look
2 for identified sites in your PIC, and this is for all
3 class locations.

4 So, really, if you're an HCA, you follow the
5 same track. You know, there's no question there. You
6 just follow the same track.

7 The question, and Mike raised this issue
8 about a more enhanced -- preventive and mitigative
9 measures in Class 3 and 4 because of the concern you
10 had with low-stress pipe having small circles. So to
11 address that, we -- this is what we had proposed, the
12 amendments.

13 If you're not in an HCA but you are low-
14 stress, you follow this line. And in your -- if you're
15 in Class 3 and 4, then you have more preventive and
16 mitigative measures: the excavation damage and the
17 corrosion. And in this case, the corrosion is just
18 more leak surveys. It's not electrical surveys, it's
19 just more -- more leak surveys.

20 So this -- this proposal here was to address
21 the concern about having small circles in Class 3 and 4
22 pipe.

23 MS. GERARD: And why are there not electrical
24 surveys in that option on the right?

25 MR. GUSTILO: Because it's not an HCA. I

1 mean, that's -- the whole reason was it's not an HCA
2 but we are just adding some more preventive and
3 mitigative measures.

4 MS. GERARD: I have another question. Why on
5 Option 1 aren't you looking for identified sites?

6 MR. GUSTILO: Well, you are. I'm sorry. You
7 are -- you are looking for identified sites in Class 1
8 and 2 because this is -- this is the one where you
9 declare. So an operator declares all Class 3 and 4
10 pipe as HCAs. So they would not be looking for
11 identified sites --

12 MS. GERARD: Ah.

13 MR. GUSTILO: -- in the Class 3 and 4 because
14 there are -- they're already HCAs.

15 So this is -- this is what we laid out in the
16 proposal.

17 Again, the -- what I see the difference to
18 what, Mike, you presented, was that for the big -- we
19 didn't break out below 20 percent SMYS.

20 And I guess, really, the -- I'm not -- it
21 wasn't clear in that previous slide. If you were
22 considering requiring enhanced P & M measures in
23 addition to the CDA every seven years or P & M in
24 between the 20 years.

25 MR. ISRANI: I would say that your below 20

1 percent is pretty much representing here, you know,
2 what we had proposed, have only preventive and
3 mitigative measures for that below 20 percent. That
4 part you're showing here an "or" although you're not
5 making further division from less than 30 percent and
6 less than 20 percent. But you picked up that feature
7 of less than 30 percent, what we proposed here.

8 How do you think that you will meet this
9 criteria required by the Act, you know, every seven
10 years?

11 MR. GUSTILO: Well, the electrical surveys or
12 the -- or the leak surveys, we felt, met the intent of
13 the seven-year reassessment.

14 MR. ISRANI: When you say electrical survey,
15 you mean like closed interval survey?

16 MR. GUSTILO: Exactly, yeah.

17 MR. ISRANI: Okay.

18 MR. GUSTILO: Electrical surveys, yeah.

19 The difference -- the CDA -- I mean, in the
20 -- in the NPRM you talked about CDAs as a
21 streamlining process, and really, there's only two
22 differences, as you pointed out. I don't -- you didn't
23 show the slide, but you have it in the handout.

24 MR. ISRANI: I have --

25 MR. GUSTILO: You do one indirect exam

1 instead of two and you have less -- there's a few less
2 excavation requirements in the full-blown DA.

3 We feel that the low-stress pipes do pose a
4 lower risk and therefore justify -- you know, when we
5 say electrical survey, it's not a full-blown DA
6 process. It's just going out there and doing your
7 electrical surveys basically validating your CP system.

8 MS. GERARD: Is there any additional
9 consideration by either proposal to bare, unprotected?

10 Mike, I'm recalling the discussion with Bill
11 Gute and the regional directors. I thought we had an
12 issue with bare.

13 MR. ISRANI: Yes. Our regional directors
14 felt that bare pipe is a big issue. They are concerned
15 about using only -- especially where you're using CDA
16 and that CDA allows one tool for assessment and -- and
17 for bare pipe, there's only one tool currently under
18 the standard which can be used.

19 So, the question was, when we said DA for
20 bare pipe, you're actually doing only CDA because
21 you're using only one tool. That was the concern they
22 had. But -- but what I discussed with Bill Gute on
23 that issue was that we did say in our proposed rule
24 that when there's only one tool, the operator will
25 suggest what additional measures they will take to take

1 care of that, to meet the full-fledged requirement of
2 DA. We suggested it could be ultrasonic or some other
3 method -- tools which are available.

4 MS. GERARD: Or a replacement program.

5 MR. ISRANI: Right.

6 MS. GERARD: So we now have differing
7 proposals on the table that we have to ask the
8 Committee whether they want to recommend the approach
9 that Mike offered or the approach that Paul offered or
10 some combination.

11 MR. GUSTILO: If I just add something, on the
12 electrical survey, what we showed in the next slide, I
13 mean, that certainly could count as an alternate
14 methodology. The law allows you to have alternative
15 methodology for reassessment.

16 MS. GERARD: I think we should deal with the
17 first issue on B, whether or not we should break out
18 the 20 percent of SMYS to allow CDA for both baseline
19 and reassessment, as it says here. We find ourselves
20 in the position where the industry is making a more
21 stringent proposal.

22 CHAIRMAN KELLY: Comments by Committee
23 members on that matter?

24 MS. GERARD: And again, it is a historic day.

25 (Laughter)

1 CHAIRMAN KELLY: Is there any reason -- and
2 I'll ask this of Mike Israni -- why OPS would not be
3 interested in the more -- the more stringent
4 requirement as proposed by industry?

5 MR. ISRANI: Yeah, let me go back so they can
6 see the difference.

7 MR. GUSTILO: If I can just add one other
8 thing, we are proposing a more stringent baseline which
9 allows -- which we feel allows you to more -- less
10 stringent reassessment, you know, electrical surveys
11 versus the CDA.

12 MS. GERARD: You want a more stringent
13 baseline to get more flexibility in the reassessment?

14 MR. GUSTILO: Exactly.

15 MS. GERARD: Well, I think that's a key
16 point.

17 MR. ISRANI: Some of the comments that we did
18 receive on our proposed rule were saying that less than
19 20 percent SMYS pipeline should not be considered,
20 even, for the integrity rule. These are some of the
21 comments.

22 Let me go back to my slide here.

23 (Pause)

24 MR. ISRANI: Okay.

25 CHAIRMAN KELLY: Actually, while Mike finds

1 his slide, we've been going for two hours. I'm going
2 to call a 15-minute break.

3 So, sort of think about what's before us and
4 then we'll come back and review this.

5 (Brief recess)

6 CHAIRMAN KELLY: Any comments on the issue
7 that we had started just prior to the break?

8 (Slide)

9 MR. ISRANI: Before the break, you saw two
10 different concepts, one from AGA and one which is being
11 displayed here. The main difference is we have broken
12 down low-stress pipeline into these two categories,
13 between 20 and 30 and then less than 20 percent SMYS.
14 And you saw AGA's recommendation to just consider below
15 30 percent and follow their chart.

16 I wanted to mention that besides these public
17 meetings, we have received quite -- quite a few written
18 comments in the docket, and there are many operators
19 who have commented that pipeline below 20 percent SMYS
20 should have no requirements or very relaxed
21 requirements.

22 So, I'll let the Committee comment on this,
23 which approach is better and what they recommend on
24 this, whether we should have less than 30 percent and
25 follow AGA's proposal or what our current position is

1 that we're considering.

2 MR. DRAKE: Just as a piece of technical
3 sidebar here to help, maybe, fill in the block, one of
4 the research projects that was done was the issue about
5 leak versus rupture threshold, which is a mechanical
6 phenomenon in materials under load. And the work
7 showed that in the stressed regions that typically the
8 failure mode is a leak rather than a rupture, which is
9 part of an assessment that, I think, can be used as a
10 building block in your compliance with the assessment
11 requirements of the law.

12 But the point is, is that the -- the
13 appropriate venue for looking for, you know, these
14 threats as they surface then is not necessarily the --
15 these intensive inspections. It is a monitoring for --
16 for leak conditions.

17 And I think what the proposal as I see it,
18 and you guys straighten me out, is that ASME took that
19 work and bracketed it with required inspections at long
20 intervals because of the -- the defect growth
21 phenomena. They grow -- they modeled how fast defects
22 grow that would surface in that operating stress level.

23 And I think what -- what I see here is AGA's
24 proposal is that to -- to augment that requirement from
25 the technical work with interval inspections on seven

1 years that are basically looking for the way threats
2 would surface in between those bracketed, full-blown
3 inspections. And in -- the delta is between -- and
4 this is my question, maybe even.

5 The question is, is that the delta is not so
6 much about the technical foundation work of leak
7 rupture threshold analysis, it's not so much about the
8 full-blown inspection bracketing the effort, it's about
9 what's, quote, unquote, "good enough" on the intervals,
10 right? The seven-year intervals to meet the law. Is
11 that kind of where we're rubbing a little bit?

12 And I think it's important that -- just to
13 know that -- you know, one benchmark is the technical
14 solution. And the technical solution was, the defects
15 aren't growing fast enough to surface inside that
16 period. And the ASME solution was bracket it with the
17 long interval with full-blown inspections and to do
18 leak monitoring in the interim, which is kind of
19 parallel, I think, to what AGA is proposing.

20 I just want to make sure that I'm kind of
21 reset on what the issue is. What we're trying to
22 accomplish here is -- is twofold, right? We're trying
23 to accomplish a technically correct solution and, two,
24 comply with the law. And I think that the technical
25 work that was done fundamentally is a building block

1 that is needed to be used to -- to address the
2 assessment requirement of the law because then it
3 predict -- it drives you to doing things that are
4 constructive in the interim, you know, in the seven-
5 year periods that are constructed with the way the
6 defects and the problems actually are realized on the
7 pipe.

8 MS. GERARD: One thing that struck me about
9 the AGA proposal is that it gives you a better
10 understanding at the earliest date of the condition of
11 the line, that you -- they're investing more in the
12 baseline, which, you know, I think it would be better
13 for us to take the strategy to get the best possible
14 understanding up front and confirm what we know and
15 then go on from there.

16 So, I would like to say that I prefer what
17 AGA is proposing to what we have in the document we
18 handed out to the Committee.

19 Another thing that I want to say is that, you
20 know, while we've had this discussion so far today, I
21 know we've been focusing a lot on definitions as it
22 relates to assessment. And it was pointed out to me at
23 the break that you might infer from the amount of
24 discussions about assessment that OPS was just
25 concerned about assessment.

1 And I -- I wanted to be clear, the reason I
2 was emphasizing the word "assessment" so much was, as
3 you said, Andy, making sure we were meeting the
4 requirements of the law. Not to be confused with our
5 emphasis on integrity management, the process and the
6 rest of the program. And in this case, as it applies
7 to low-stress lines, looking at a monitoring process
8 after the initial understanding is gained that is
9 appropriate for the operating situation.

10 And I think one of the things that doesn't
11 show up from the slide is the, you know, the potential
12 for some of the damage prevention work to improve in
13 the years ahead, through better data and better
14 targeting and, you know, some of the things that the
15 Common Ground Alliance is doing, you know, which we've
16 heard about in our last public meeting.

17 So I wanted to say that I would prefer to
18 take the AGA recommendation as opposed to our 5-B and
19 -- and to, you know, put more emphasis on flexibility
20 in monitoring that would be going on ala reassessment
21 over the out-years.

22 MR. DRAKE: Yes, I agree, and I think, just
23 to -- all I'm trying to offer is that from a technical
24 perspective that lines up a lot more with the technical
25 work that ASME was founded upon. And I think that it

1 technically gives you a better answer physically as
2 well as, you know, as well as from a confidence
3 perspective going forward in managing your data.

4 MR. ISRANI: I just would like to add to
5 Andy's comment that on the technical side, what I also
6 read from the Keefner papers and their studies was that
7 between 20 and 30 percent, in the majority of the cases
8 they would leak before rupture, but there are some
9 which will rupture. But below 20 percent, there was no
10 record of anything rupturing. That's why the division
11 was made from technical side.

12 But, you know, if you are making it more
13 stringent, it's fine with us.

14 (Laughter)

15 CHAIRMAN KELLY: Mr. Bennett?

16 MR. BENNETT: One other comment as far as the
17 -- we labeled it preventive and mitigative measures too
18 when we were talking about what we would do during the
19 seven-year intervals after reassessment. And in
20 thinking about meeting the legal requirements, what we
21 were really saying is, this is what we were calling our
22 reassessment. And we mentioned the electrical surveys
23 every seven years, but there are other things that
24 you're doing for internal corrosion on an annual basis,
25 you know, reviewing the fluids that could cause

1 corrosion and also integrating data throughout the
2 process.

3 So we really had a reassessment process that
4 we think -- we thought OPS could approve and would meet
5 the letter of the law as far as reassessments on a
6 seven-year schedule.

7 MS. GERARD: One point I need additional
8 clarification on is, where do we stand on any
9 additional consideration for bare, unprotected pipe?
10 Is there anything? Is that treated any differently if
11 it's bare, unprotected?

12 MR. ISRANI: Not according to our current
13 position. We don't have any, but I would encourage --
14 if the Committee could give some recommendations on
15 that issue.

16 MS. GERARD: There's a couple people in the
17 -- in the public setting back there. I see Jim
18 O'Steen and Fred Joyner.

19 Do -- did either of you recall the OPS
20 discussion on the bare pipe? Stanley?

21 I thought we had a concern that I think we
22 forgot we had.

23 MR. KASTANAS: Yes, Stan Kastanas with OPS.
24 We did discuss dealing with bare pipe as an
25 alternative solution where you couldn't do certain

1 surveys, you couldn't -- protect as well, and so forth.

2 We discussed the option of coming to us and proposing
3 some way -- a replacement schedule as -- as a potential
4 option of dealing with bare steel pipe. It would help,
5 certainly, us. It would help the public in removing,
6 you know, what offers a potential problem. It could
7 give you incentives, and I don't know how to do this in
8 the structure of -- of this rulemaking, where by
9 replacement of pipe, maybe you could reduce some
10 baseline assessments, maybe some CDAs, I'm not sure.

11 I'll default to Mike and you folks of how best to
12 do that.

13 But certainly, we would encourage dealing
14 with bare steel pipe, and I won't get into the cast
15 iron, but certainly, bare steel pipe is certainly one
16 issue that we have a major concern. And we'd certainly
17 like to have some direction in how to do that and how
18 to do that in the context of what pipeline integrity
19 is, and that is getting things that are certainly
20 substandard or have grown to be substandard out of the
21 ground.

22 I think that's where we're going.

23 MS. GERARD: And we're talking about bare
24 steel transmission, and as I recall, we identified what
25 the mileage was and it's a really small amount of

1 mileage.

2 MR. KASTANAS: It is. We have -- we don't
3 see and I don't know -- if Roger was here, maybe he
4 could give us a handle on that. But it would be good
5 to deal with that, yes.

6 CHAIRMAN KELLY: Is it bare steel only on
7 low-stress pipelines that you're talking about?

8 MR. KASTANAS: There is bare steel on high-
9 stress pipes, but there's certainly predominance on
10 low-stress pipe, yeah.

11 CHAIRMAN KELLY: That's the issue right now,
12 low-stress pipe.

13 MR. ISRANI: I have some mileage here. For
14 cathodically protected bare steel pipe, transmission
15 pipeline, we have 13,700 miles. And unprotected, we
16 have 2600. So we're talking about 15,000 total
17 mileage.

18 MS. GERARD: I thought we were especially
19 talking about that 2000 miles.

20 MR. ISRANI: Because -- yeah, that's the one
21 which is not cathodically protected.

22 CHAIRMAN KELLY: Does OPS have a proposal
23 with respect to bare steel?

24 MS. GERARD: We didn't make one, but I think
25 we were just advising the Committee that there was some

1 concern about it and we were looking for any advice
2 from the Committee on that.

3 CHAIRMAN KELLY: Are there any comments?

4 MR. DRAKE: It's going to be very difficult
5 to do CDA on a bare, unprotected pipeline. The whole
6 thing is going to be an anomaly. I mean, let's face
7 it, by definition it is.

8 So you have to come up with another tool to
9 deal with that reality because that thing is going to
10 be looking for electrical continuity tests, basically,
11 and it's going to fail constantly just based on its
12 fundamental design.

13 So I think that's part of the problem with
14 taking the CDA into that world. It's not appropriate
15 to use that tool in that world.

16 MS. GERARD: So we were looking for you to
17 give us some advice on what to do about that.

18 MR. ISRANI: I would like to mention that, as
19 I mentioned earlier, that under the current standard
20 only direct assessment method that they have identified
21 in the table is a closed interval survey. How accurate
22 that measures, we don't know, but that's the only
23 method it specifies. And that's where Bill Gute had
24 concern about some of the data he had for some pipeline
25 which was 11-mile pipeline somewhere where they had so

1 many thousands of or hundreds of digs there to make.
2 And he wasn't sure if a closed interval survey got all
3 of that -- or whether a closed interval survey would
4 catch any of that because this one was done with a
5 smart pig or some other method.

6 MR. WUNDERLIN: Just to point out on the
7 chart that Paul Gustilo put up for low-stress under the
8 P & M measures, we do take into account external
9 corrosion for external -- for unprotected pipe and
10 we're proposing quarterly leak surveys and one and a
11 half years to determine areas of active corrosion. I
12 think that basically doubles the current requirement of
13 the code for leak surveys.

14 MS. GERARD: I know Bill was aware of that,
15 and I think that he was still concerned about it.

16 MR. ISRANI: Right. Yeah, yeah.

17 CHAIRMAN KELLY: Any further discussion on
18 the proposals that we have before us?

19 (No response)

20 CHAIRMAN KELLY: Does the Committee have a
21 preference in terms of how to proceed with the low-
22 stress pipelines, the AGA posture or the OPS posture?

23 MR. WUNDERLIN: I would like to make a motion
24 for the OPS to consider the AGA proposal. And the
25 language for that proposal is actually -- was submitted

1 in the INGAA booklet under Tab 14, page 6 and 7. That
2 follows the diagram Paul talked about.

3 CHAIRMAN KELLY: Motion made. Is there a
4 second?

5 PARTICIPANT: I'll second.

6 CHAIRMAN KELLY: Is there any further
7 discussion? And of course, we're voting on the
8 concepts as we have discussed here rather than the
9 specific language.

10 (No response)

11 CHAIRMAN KELLY: All in favor?

12 (There was a chorus of "ayes.")

13 CHAIRMAN KELLY: Any opposed?

14 (No response)

15 CHAIRMAN KELLY: Any abstentions?

16 (No response)

17 CHAIRMAN KELLY: Thank you.

18 Now, did you want to discuss further the bare
19 steel issue? Is there any further discussion on the
20 bare steel pipeline issue?

21 MS. GERARD: I'd like some recommendations
22 from the Committee on what we should do with the -- you
23 know, if they have any recommendations to make on how
24 to treat that anomaly.

25 CHAIRMAN KELLY: Did you have any

1 recommendations? He raised this issue, you said?

2 MS. GERARD: I think Bill was hoping for a
3 recommendation on a replacement program over some
4 period of time.

5 MR. DRAKE: I think the biggest thing that --
6 that's -- that you have kind of a disadvantage here
7 because Bill was at the last meeting and here we are
8 today with a different proposal. But I think the added
9 value that -- obviously, the recommended action item
10 is, give this proposal to Bill and talk about how this
11 is different than the proposal he was looking at and
12 commenting on at the last meeting.

13 But the big difference I see is, and it may
14 accomplish his purpose, is that you're obligating these
15 bare, unprotected pipes to a full-blown inspection,
16 which was conceptually I'm not sure on the table back
17 when we were talking originally. I think there was a
18 discussion about just doing, you know, CDA or just
19 doing the leak surveys without bracketing it with a
20 full-blown inspection.

21 By bracketing it with a full-blown
22 inspection, I think you -- you are going to find that
23 -- you know, you're going to find the bad guys
24 and you're going to winnow them out of the system,
25 which is, I think, what his goal was.

1 But I can't speak for Bill. I just would say
2 that I think -- you're shooting at a target I can't
3 see. I mean, we'd have to get Bill in the room. But I
4 think what I would do is propose that maybe the AGA
5 folks and even perhaps the -- the technical consultant
6 that did the -- the leak rupture threshold work sit
7 down with Bill and go through the value that's added
8 and the protections that are added by the AGA proposal
9 as opposed to what the technical intent was in the
10 development of ASME.

11 Because now I see these proposals are lining
12 up very closely to that technical work, and I think
13 that's very -- very confidence-building.

14 CHAIRMAN KELLY: All right. We will move on.

15 The next item is currently listed on Thursday
16 morning's agenda, we're moving along so quickly, and
17 that's pressure testing.

18 Pressure Testing

19 (Slide)

20 MR. ISRANI: Pressure testing for material
21 and construction defects. Here, the goal is to assure
22 protection against material and construction defects
23 that could result in delayed failures.

24 (Slide)

25 MR. ISRANI: And our question is, should the

1 requirement to pressure test pipeline to verify
2 integrity against material and construction defects be
3 limited to pipeline segments for which information
4 suggests a potential vulnerability to such defects? If
5 so, what information should be relied upon?

6 To clarify this, in our proposed rule we
7 required pressure tests for pipeline -- once-in-a-
8 lifetime pressure tests for -- for the material and
9 construction defects to be performed by operators if
10 they've not done any pressure testing before.

11 So here the question is whether it should be
12 only if the information suggests a potential
13 vulnerability to such defects, and if so, what
14 information should be relied upon.

15 (Slide)

16 MR. ISRANI: Comments we received on these
17 material and construction defects are, from the
18 industry -- it says, the historical safe operation
19 demonstrates stability, meaning if there are -- if the
20 pipeline has a safe operation history, then it is
21 stable and we should not take any other action or any
22 separate assessment should not be required, as we said
23 in the second bullet.

24 States say that arbitrary tests should not be
25 required. So they pretty much agree with industry on

1 this.

2 And we had no comment from the public.

3 (Slide)

4 MR. ISRANI: And our current position on
5 this, what we're considering, is pressure tests for
6 material and construction defects only required where
7 actual operating pressure increases above the highest
8 level experienced in the previous five years.

9 What we are trying to say here is that --
10 that unless there's a pressure change, we don't see the
11 chance of gas pipeline -- the material and construction
12 defects may result in failures. So if -- if they've
13 been -- there's been a pressure change in the last five
14 years, then only we should look at that issue and see
15 if that can be defective and take further action.

16 And this is the result of our last public
17 meeting. This was recommended.

18 CHAIRMAN KELLY: Any questions or comments by
19 Committee members? Mr. Thomas?

20 MR. THOMAS: Yes. Is this meant for only in
21 HCA areas or -- or --

22 MR. ISRANI: Yeah.

23 MR. THOMAS: -- just generally?

24 MR. ISRANI: We are talking only about HCAs.

25 MR. THOMAS: Only in HCAs?

1 MR. ISRANI: Correct.

2 MR. THOMAS: I'm not sure that's clear from
3 what I read here.

4 CHAIRMAN KELLY: Dr. Feigel?

5 DR. FEIGEL: I would advise some considerable
6 caution even under the circumstances that you've
7 described here. If you've got a insitu operating
8 system that is shaken down, presumably, and is stable
9 and increase the operating pressure and you -- you do a
10 hydrotest, you run some risk. I'm not sure anyone can
11 -- can adequately quantify that and you can do it
12 theoretically. And that gets back to some of the
13 comments that Andy was making earlier.

14 But at least I would think before you
15 consider doing hydrotests, we ought to do some fracture
16 toughness crack propagation modeling because what you
17 can run is a very -- high risk you're doing more damage
18 than good by doing one of these tests. You can
19 potentially drive existing cracks and in that respect
20 destabilize them without finding them, operate at a
21 higher operating pressure, and then have problems in
22 the future.

23 In fact, there's some pretty substantial
24 anecdotal evidence, at least in the pressure vessel
25 industry in Europe, where frequent hydrotests -- in-

1 service hydrotests are required by regulation, that
2 that in fact has happened and has caused considerable
3 damage.

4 So -- a black-and-white situation, but I -- I
5 will vote against that.

6 CHAIRMAN KELLY: How do you think it should
7 be addressed, then?

8 DR. FEIGEL: I think that should be prefaced
9 by, you know, appropriate assessment should be done
10 regarding the advisability of doing hydrostatic tests
11 on increased operating pressure systems. I mean,
12 that's not the perfect wording, but that's certainly
13 the intent that I -- I would support.

14 CHAIRMAN KELLY: So basically, before the
15 hydrotest is done that there is some assessment of
16 crack vulnerability?

17 DR. FEIGEL: That's correct. And that would
18 stipulate whether it would make sense to do a
19 hydrotest.

20 CHAIRMAN KELLY: Any other --

21 MR. DRAKE: In ASME, there is -- and I think
22 -- I'm having a hard time with the current position as
23 to exactly what qualifiers are going in there. But in
24 ASME, there was a great deal of effort to try to
25 characterize the bad guy, if you will, because you

1 don't want to incite a riot here by testing a bunch of
2 materials that don't have this problem or aren't --
3 don't have a predisposition to this concern. And there
4 was an effort made to try to characterize those.

5 Is that characterization, which I think
6 couples with what Dr. Feigel was talking about, is that
7 characterization that's in ASME included in your
8 wording but it's not real apparent? Or is it just any
9 pipe that hasn't been tested before that sees an
10 operating pressure increase?

11 Because there was another filter inside ASME
12 that says a certain kind of materials, and it listed
13 them off, that -- or any pipe that has a predisposition
14 to material, you know, material failure history and
15 experiences this pressure increase. Those are the --
16 those are the ones we're going to go after.

17 The point here is that that extra filter
18 tries to help, I think, do just what Dr. Feigel was
19 talking about, and that is characterize the problem
20 area so that you're focusing it -- focusing this work
21 in a place where it really exists and not subjecting a
22 lot of other pipes and other materials to tests where
23 there's -- the issue isn't -- isn't present and you
24 could be causing collateral issues now that aren't --
25 aren't constructive to your purpose.

1 CHAIRMAN KELLY: Any other comments? Dr.
2 Feigel?

3 DR. FEIGEL: Yeah, I want to -- I want to
4 make sure everyone understands the context of my
5 comments. I've got cost benefit off the table for the
6 moment for the purposes of my comment. I'm simply
7 trying to make an engineering point.

8 You know, you run some fairly considerable
9 amount of risk in doing more damage than good in doing
10 these tests on insitu systems where you've got a very
11 -- very, very complex failure mode that -- that you
12 may be addressing. And you may simply increase the
13 probability that you're going to have problems in the
14 future rather than finding the problem at some, you
15 know, date certain when you do the test.

16 CHAIRMAN KELLY: Is the periodic pressure
17 testing a statutory requirement or is that just created
18 in the proposed rule?

19 MR. ISRANI: The -- the way we approached the
20 gas rule was to consider trait-by-trait analysis, and
21 we looked at all kind of traits which are on pipeline.
22 And -- and construction defects was one of the traits
23 to be considered. And the known-to-us solution for
24 that was pressure testing.

25 We do allow smart pigging to -- to look for

1 defects, you know, just like we allow it for the liquid
2 rule for new pipe when they use the right kind of tool
3 -- type tools to determine. And the same option we
4 give here also, in our proposed rule we did put that.

5 But at the last meeting, the question was
6 raised that -- that because gas pipelines don't have
7 this cyclic load, so even if there are some defects or
8 some cracks, they don't have a chance to propagate, to
9 expand, to fail. And the only -- only way that can
10 happen is if there are, you know, some pressure
11 changes.

12 So, one of the suggestions was that, you
13 know, we should look at the highest operating pressure
14 and changes in the pressure in the last five years,
15 period, and base it on that. But I -- Andy's comment
16 also and Dr. Feigel's, we could look at this issue,
17 what ASME calls for. It can be more specific to
18 certain kinds of material defects and failures.

19 CHAIRMAN KELLY: Mr. Lemoff?

20 MR. LEMOFF: Yeah, Mike, if I can just
21 clarify. I think what Dr. Feigel is saying is that
22 he's not speaking to the need to when you do the test,
23 it's if the test is needed by some criteria, how you do
24 it or which method you use. Am I correct in that?

25 DR. FEIGEL: No.

1 MR. LEMOFF: Okay. I'm sorry, then. Let me
2 say this -- let me try again.

3 Let me start -- do I understand this, that if
4 I have a line that -- I put in a new line and pressure
5 test at 1000 psi for operation MAOP 1000. And I choose
6 to run it at 750 for a number of reasons. And 10 years
7 later I want to raise it above 750, then I would have
8 to do this test only if I go above the 1000?

9 MR. ISRANI: When you go above your maximum
10 operating pressure.

11 MR. LEMOFF: Okay. Thank you.

12 MR. ISRANI: Or if there's a change in the
13 last five years from what your operating pressure has
14 been.

15 MR. DRAKE: No, no, no, no, no. Wait, wait,
16 wait, wait. We missed -- we missed an important point.

17 He said that a line was hydrostatically
18 tested at its onset.

19 MR. ISRANI: Oh.

20 MR. DRAKE: If it's hydrostatically tested
21 when it's built, --

22 MR. ISRANI: No.

23 MR. DRAKE: -- this rule does not apply
24 irregardless.

25 MR. ISRANI: This was once in a lifetime.

1 MR. LEMOFF: Thank you.

2 MR. DRAKE: It's only for lines that --
3 because we have a lot of legacy pipes out there, you
4 know, that were installed in the '40s and '50s and they
5 were not hydrostatically tested when they were
6 installed.

7 MR. ISRANI: Correct.

8 MR. DRAKE: Those defects have had 50, 60
9 years to do whatever they're going to do, and they
10 haven't surfaced. So that's where the whole term
11 "stable" and that's -- this is the right concept, that
12 those defects are stable. The only reason that they
13 move and become failures is some environmental or load
14 change on the pipe which propagates them, which is, I
15 think, exactly what Dr. Feigel's talking about.

16 Hydrostatically testing them can cause them
17 to move, some of which may fail during the test, some
18 of which would have just got bigger and now they're in
19 the pipe bigger, which actually trends your safety
20 factor a little bit.

21 It's a balancing act a little bit. You want
22 to focus that effort where the problem exists and try
23 to make sure the testing practices try to mitigate
24 growth of defects and their survival that could
25 actually start growing again back in operations -- you

1 know, in the operating regime.

2 CHAIRMAN KELLY: Are you suggesting that the
3 ASME proposed rules have enough safety features in
4 there to accommodate the concerns that you've expressed
5 here?

6 MR. DRAKE: I think what it is, is it's kind
7 of a mosaic, and that's what this integrity issue is
8 all about. It's an integration of a lot of issues to
9 try to manage the whole breadth of the issue.

10 Not only do you have to identify the threat,
11 you have to identify how to manage the threat. And the
12 appropriate testing practice is just as important in
13 ensuring integrity as identifying -- as identifying the
14 threat. And appropriate testing practices are also
15 defined in ASME. So they kind of fit together like a
16 hand in a glove. Once you find it, if you truly want
17 to excise it, you have to -- exorcise it, you have to
18 -- you have to test it appropriately. Otherwise, you
19 can just make the situation worse.

20 But we don't want to try to induce a lot of
21 stable defects to a process that is not necessary for
22 -- for that population of defects. You know, we want
23 to keep it focused as the ones that become problems,
24 does that make sense? Not just the whole universe.

25 CHAIRMAN KELLY: Mr. Andrews, did you have a

1 comment?

2 MR. ANDREWS: I guess I was a little confused
3 when I first read this. Does this only apply if you're
4 using the option of pressure testing as a method in the
5 IMP rule or is this a general requirement?

6 MR. ISRANI: In the IMP rule, in the proposed
7 rule, we had a general requirement as a pressure test
8 -- once-in-a-lifetime pressure test for material and
9 construction defects.

10 This is the current position on whether we
11 should use pressure tests for material and construction
12 defects when the pressure increases over a five-year
13 period. But what recommendations we are getting, that
14 there should be other assessment methods which should
15 be considered which could be appropriate.

16 So we don't bring the pressure tests and
17 bring the defect to the borderline and just leave it
18 there. So that's the concern, that we may increase
19 some of the cracks by pressure testing and they may not
20 fail at that moment. So we cause more problems with
21 that pressure testing.

22 MR. ANDREWS: It appears you're making an
23 MAOP only good for five years. If you establish your
24 MAOP, it's -- you're basically invalidating that at the
25 end of five years with the way this is read, if I'm

1 understanding it right.

2 MR. ISRANI: No, the theory behind -- behind
3 this is that when -- if you have a crack in the
4 pipeline or some material defect in the -- some
5 material defect or crack in the welding, that will not
6 change unless you have cyclic load or some kind of
7 pressure change that takes place and brings it to the
8 level that it can rupture or crack.

9 So pressure testing was one test, a pass or
10 fail kind of thing, to remove that defect. But we --
11 you know, as I said that for a certain pipeline like
12 ERW pipeline, pipeline which has ERW, we have allowed
13 for liquid lines to smart pig as an option to look for
14 those kinds of defects and consider that.

15 As I also suggested, that ASME standard, you
16 know, and seeing what they have recommended and
17 consider that.

18 MR. ANDREWS: I guess I'm a little concerned
19 with what triggers the need for a pressure test. What
20 -- if you're just raising your pressure, as long as
21 you're below your MAOP you should have that right
22 without a new pressure test because you had -- you
23 established that MAOP in some method, either through an
24 up-rate procedure or a test, pressure test.

25 MR. ISRANI: Yeah. You may have done this 20

1 years ago and your pipeline that's operating -- just
2 like Ted Lemoff was questioning, you know, you may have
3 an MAOP of 1000 psi but you have all along been
4 operating at 750. But suddenly you decide to go to
5 MAOP after 17 years, an extensive change in the
6 pressure, and that's what we are concerned about. It
7 may propagate some of these failures.

8 MR. ANDREWS: Okay. That's where my point
9 is.

10 MR. ISRANI: Yeah, right.

11 MR. ANDREWS: So, you are invalidating an
12 MAOP that's been established if you don't operate at
13 the MAOP every five years.

14 MR. ISRANI: Yeah, that part is correct. All
15 we're saying is that if you have been operating at
16 lower pressure than MAOP but now you are increasing and
17 reaching almost MAOP, you may have a pipeline which can
18 fail.

19 MR. ANDREWS: Well, then you're -- then
20 you're placing a five-year limit on MAOP.

21 MR. ISRANI: That's what some of the
22 suggestions were, that that time frame is appropriate
23 for this.

24 MR. ANDREWS: That's far beyond what I'm -- I
25 thought we were talking about here today. So this is

1 -- this is a new concept, if we're going to put a
2 limit on MAOP establishment.

3 MR. DRAKE: Not really. Not -- not actually.
4 This is very similar to the wording that's in ASME.
5 And there was a long technical discussion about this,
6 and certainly we're not going to put this group through
7 that ad nauseam discussion here.

8 But there was a long discussion about this,
9 and the concern was that because of the way these
10 surface -- you're only talking about a population of
11 pipe that has never been exposed to a hydrostatic test.

12 And its MAOP very well could have been validated based
13 just on an operating pressure at 1968. And that if it
14 hasn't seen that pressure in a very, very long period
15 of time, and technically the group chose five years,
16 that there could be a lot of other events that have
17 happened since that last pressure -- since the
18 integrity was validated at that pressure many, many,
19 many years ago. And that by increasing the load on the
20 pipe, you are creating exactly the environment that can
21 drive these to fail. And we've seen that historically.

22 And that -- that was the net out of the issue here.

23 Now, with the rulemaking, you have an
24 opportunity here to talk about, is that five years just
25 a rolling five years or is that five years from the

1 date of this rule? Because here you have the added
2 advantage that at the advent of this rule, you are
3 obligated to look for all threats in those areas. So
4 you don't necessarily need this to roll forward. You
5 can just say five years from the date of this
6 rulemaking.

7 Because, at the point of this rulemaking, you
8 are now obligated to look for all threats. So you're
9 looking for other things that could create
10 environmental loads or change the stress strata on this
11 pipe, which is exactly what you need to keep an eye on
12 to keep these from growing to be failures.

13 CHAIRMAN KELLY: Dr. Willke?

14 MS. GERARD: Isn't it actually five years --
15 aren't you actually already encumbered by the law
16 before the rule? I mean, when the law passed, it
17 didn't require you to begin the assessment process?

18 MR. DRAKE: I don't know what your question
19 is.

20 MR. ISRANI: This is not the reassessment or
21 baseline assessment of what we have as required for all
22 pipeline. These are additional measures to attack some
23 traits -- different traits the pipeline could have.
24 And one of the traits was material and construction
25 defects for pipelines which have never been tested

1 before.

2 CHAIRMAN KELLY: Dr. Willke?

3 DR. WILLKE: Yeah, Ted Willke.

4 I want to test my understanding of this
5 particular -- because I'm not sure what's being
6 proposed. This is only in HCAs and only applies to
7 pipe that's never been tested before, right?

8 Now, --

9 MR. DRAKE: Hopefully, further than that
10 qualified because that, again, trends this issue to a
11 place where you're focusing on where the problem is,
12 like we talked about with Mike earlier about ASME.

13 DR. WILLKE: The statement of the current
14 position is different than the paper we were given than
15 it is here. So that's leading me to some other
16 questions.

17 This talks about pressure testing when the
18 operating pressure increases over the highest level
19 experienced in the previous five years. The other
20 current position says, pressure test or use of ILI, and
21 it includes low frequency ERW or lap-welded pipe.

22 So, Andy, to the point you made earlier,
23 should this be an "and" requirement which says,
24 pressure increase and lap-welded pipe, pressure
25 increase and low-frequency ERW, or is there another

1 position that you want?

2 MR. DRAKE: In ASME, it's an "and" condition.
3 You have materials that are susceptible or, you know,
4 or have had an operating history that demonstrates
5 susceptibility and you're changing the load on the
6 pipe. The two things coupled together create the
7 problem. And what you're trying to do is just what we
8 talked about earlier, trying to focus the effort in the
9 place where the issue surfaces, not just introduce a
10 whole host of population of materials and pipes into
11 this testing that aren't realizing the problem.

12 CHAIRMAN KELLY: Any other comments?

13 Well, maybe this is addressed to Mr. Israni.
14 Which is the current position? That which we have
15 received in the mail or that here on the -- on the
16 board?

17 MR. ISRANI: Well, the one that I sent
18 Advisory Committee members had the previous section
19 that Ted just pointed out for ERW low-frequency pipe.
20 And that part we had as a separate requirement within
21 the -- or it was part of the material and construction
22 defect, but there was one area where we didn't see any
23 problem because it had a pressure test or ILI capable
24 of detecting the same problem.

25 It was a second part where we wanted to

1 emphasize on the pressure tests for the material and
2 construction defect, where the changes in the pressure
3 test would -- would cause these defects to fail. And I
4 think it was believed that even these ERW pipe and all
5 those may be affected by this change in the pressure
6 test. That's we consolidated that into one comment.

7 CHAIRMAN KELLY: But would ILI apply -- in-
8 line inspection apply to your proposal regarding the
9 five-year testing?

10 MR. ISRANI: There are ILI tools which can
11 detect for some of these cracks and, you know -- but
12 those are different kind of tools. You know, they're
13 not the common magnetic flux type, but there are --
14 there are different smart pig tools which can detect
15 those kind of leaks. Like, there are -- smart pigs
16 which can look for these ERW pipe failures.

17 CHAIRMAN KELLY: Does that avoid the issue
18 that Dr. Feigel raised earlier regarding the pressure
19 perhaps creating more of a problem than existed prior
20 to the test?

21 MR. ISRANI: It would for pipelines where we
22 have the defects in the welds, you know, ERW pipe,
23 because their option would be to use either a pressure
24 test or this smart pig.

25 But the pipelines which have material defects

1 we're not -- where we're not talking about ERW pipe,
2 how we address that part, and that's the part which
3 ought to look at ASME's -- what recommendation they
4 give for it.

5 DR. WILLKE: I'm just looking for -- there
6 seem to be three positions. There are two current
7 positions. One includes ILI, one does not. One
8 includes light-welded and low-frequency, the ERW not.
9 If we could understand which is the current position
10 you want, then, Andy, if you could help us understand
11 what the industry position is on this after we
12 understand what the current position that they're
13 putting forward?

14 CHAIRMAN KELLY: So why don't we start with
15 Mike Israni. Would you state the current position?
16 Well, look at what you mailed to us.

17 MR. ISRANI: Yeah, yeah. I'm just trying to
18 see if we still have the ERW issue that we need to
19 address or I'm looking at if this -- what we have in
20 the current position on the slide would -- would
21 accommodate both the issue of the ERW pipe. And I
22 would have to consider --

23 The way it's written, it's almost like we
24 could use this current position to answer both.

25 CHAIRMAN KELLY: Does it need to be an "and"?

1 MR. ISRANI: Yeah.

2 CHAIRMAN KELLY: Instead of an "or," it's an
3 "and."

4 MR. ISRANI: I'll have to think about it. I
5 would, you know, look for a recommendation from the
6 Committee what they would suggest. How do we address
7 the ERW pipe issue and how do we address this -- just
8 the material defect due to pressure change, whether
9 pressure change could address both issues
10 simultaneously.

11 MR. ANDREWS: I'd point out that we go back
12 -- some pipes just don't fit well to pressure
13 testing, single-feeds and such. This is -- this is a
14 new concept for me. I'm really -- I must have
15 misunderstood it when I first read it.

16 Has there been consideration given to
17 mirroring the up-rating procedure if this is so
18 important that it needs to be done over doing a stepped
19 pressure increase with leakage surveys?

20 MR. ISRANI: All I'm saying is we are only
21 trying to address this particular threat, material and
22 construction defect, and how's the best way to address
23 that. Perhaps ASME has an answer for both of these
24 issues, whether it's ERW pipe or material -- other
25 material and construction defects.

1 If that's the case, the Committee could
2 recommend that we just follow ASME's standard for this.

3 MR. ANDREWS: Well, I'm not -- I'm not that
4 familiar with ASME standards on it, but up-rate
5 procedure is good enough to establish new MAOP so it
6 ought to be good enough to check for construction
7 defects, material and defects, because that's what
8 you're doing in an up-rate procedure.

9 CHAIRMAN KELLY: What is an up-rate
10 procedure?

11 MR. ANDREWS: Increasing the pressure in
12 steps and doing a leakage survey each time you
13 increase.

14 CHAIRMAN KELLY: Thank you.

15 Dr. Feigel?

16 DR. FEIGEL: I think the only caution is, I
17 believe that ASME's verbiage addresses the issue but I
18 think you're going to have to be very careful when you
19 look at that in terms of -- in terms of combining
20 several paragraphs to make -- make that point very
21 briefly and succinctly. It is there, but unless you
22 want to copy what they've got verbatim, which runs over
23 two or three very lengthy paragraphs, you're going to
24 be -- have to be very careful about how you push the
25 two together to address both the pressure increase and

1 the material issues.

2 CHAIRMAN KELLY: Would you like to --

3 DR. FEIGEL: It's an editorial issue. That's
4 --

5 CHAIRMAN KELLY: Well, without looking to the
6 specific words, would you like to summarize
7 conceptually where you would like to recommend the
8 Committee be on this issue?

9 DR. FEIGEL: Well, as a compromise, which is
10 not really the point I was making earlier, but I --
11 because I'm taking a more extreme position, frankly.
12 As a compromise, I would propose or move, if it's in
13 order, Madam Chairman, that --

14 CHAIRMAN KELLY: It's in order.

15 DR. FEIGEL: -- that the position expressed
16 in B31.8S be incorporated in the -- you know,
17 conceptually into the rulemaking but if it's
18 appropriate in terms of pressure testing of insitu
19 pipe.

20 CHAIRMAN KELLY: And that's as it pertains to
21 material and construction defects?

22 DR. FEIGEL: Yes, that's correct. And
23 increased pressure.

24 CHAIRMAN KELLY: Any -- is there a second to
25 that?

1 MR. DRAKE: I would append that just to pick
2 up, I think, Mr. Andrews' point about, you know, the
3 operating -- the procedures that are currently in the
4 code certainly cover this issue well because they
5 differentiate the different stress levels. And ASME
6 deals with the issue more on a broad -- you know, a
7 little bit bigger -- a little bit broader, assuming
8 that everybody's in the same bucket.

9 I think it could be that you would follow --
10 you know, when you realize this event, you can do as
11 ASME is prescribing or follow the up-rate procedure as
12 defined in -- in the current regulations. I mean,
13 certainly, that would be compliant. I mean, we've
14 never had any problems, I don't think, in that -- in
15 that venue surface either.

16 And it -- and that helps recognize the
17 differences in different pressure regimes, stress
18 regimes of the pipe, that's not something picked up in
19 ASME.

20 But I would second Dr. Feigel's with that --
21 with that little amended piece to it.

22 CHAIRMAN KELLY: Do you accept that, Dr.
23 Feigel?

24 DR. FEIGEL: Yeah, absolutely.

25 CHAIRMAN KELLY: All right. So it's been

1 moved and seconded with respect to material and
2 construction defects and increases in pressure that OPS
3 considering incorporating B31.8S conceptually and/or --
4 and provide that you have the option of following the
5 up-rate procedure, is that correct?

6 MR. ISRANI: Is it "or" you're saying?

7 MR. DRAKE: Or.

8 MR. ISRANI: Oh.

9 CHAIRMAN KELLY: Then your follows --

10 MR. DRAKE: It follows the testing --

11 CHAIRMAN KELLY: -- allow either.

12 MR. DRAKE: -- of ASME or the up-rate
13 procedure. But what cues you to do it is "and"
14 condition, and that "and" condition is defined in ASME.
15 Does that make sense? That's what Dr. Feigel was
16 saying.

17 CHAIRMAN KELLY: Is there any further -- Dr.
18 Willke?

19 DR. WILLKE: Is there a second? I'll second,
20 but I have a question.

21 CHAIRMAN KELLY: It's seconded. You can ask
22 a question.

23 DR. WILLKE: Is the -- is there a standard
24 for the up-rate procedure?

25 MR. ANDREWS: It's straight out of the code.

1 CHAIRMAN KELLY: Any further questions or
2 comments?

3 (No response)

4 CHAIRMAN KELLY: Before we vote, I think
5 we'll just ask, does the public have anything they'd
6 like the body to consider -- the Committee to consider?

7 (No response)

8 CHAIRMAN KELLY: All in favor?

9 MR. ANDREWS: Let me ask, is there a time --
10 when would this come into effect? Because I know every
11 operator's going to run out and up his pressure to MAOP
12 to hold his five years.

13 (Laughter)

14 MR. ANDREWS: Has this already happened?

15 CHAIRMAN KELLY: Mr. Israni?

16 MR. ISRANI: Is your question is that when
17 this becomes effective, this requirement for testing
18 operating following ASME?

19 MR. ANDREWS: When did the five years begin
20 or when will it begin? The previous years --

21 CHAIRMAN KELLY: When does the clock start?

22 MR. ANDREWS: Yes.

23 MR. ISRANI: The main thing is that --

24 CHAIRMAN KELLY: When do you think it should
25 start?

1 PARTICIPANT: I was talking about that a
2 little bit --

3 MR. ANDREWS: -- check my pressure of my
4 MAOP.

5 MR. DRAKE: Wait, wait, wait, wait. I think
6 the issue here is we did talk about that. The ASME is
7 not a rulemaking. So ASME doesn't talk about it in
8 times of a specific date.

9 But here you have that opportunity to define
10 the date as the date that the rulemaking goes into
11 effect. And what you don't want to have happen is have
12 this be a rolling five years because what will happen
13 is every five years everybody's going to be -- which is
14 not what you want to do because that just incites
15 defect growth, which is exactly what you're trying to
16 prevent.

17 So I think if you don't define it on a day,
18 five years from this day, and it's just five years that
19 just rolls along forever and ever, every five years
20 people are going to pressure up to keep their MAOPs
21 valid, which is not what you want to do.

22 I think you want to do it one time, just like
23 they did when they grandfathered pipes in 1968. As of
24 this day, you know, and the day seems to me to be the
25 date that the rulemaking goes into effect. And that

1 locks it down in time and it gives people an
2 opportunity to get -- they see the rule coming and they
3 have a chance to get those sites identified, get
4 themselves, you know.

5 CHAIRMAN KELLY: All right. Then we have, I
6 think, an addition to that motion, and that is to
7 include that it would be effective on the effective
8 date of the regulation.

9 Are there any more questions or comments?

10 MR. COMSTOCK: Can we read it one more time?

11 CHAIRMAN KELLY: Oh, sure, yes.

12 The Committee recommends that OPS incorporate
13 the relevant provisions of B31.8S, and that is those
14 which pertain to increasing the pressure and material
15 and construction defects, or allow the alternative of
16 following the procedure -- the up-rating procedure,
17 which is currently in the regulations, all of which
18 will become effective on the effective date of the
19 regulation.

20 Is there any further discussion? Yes?

21 MR. THOMAS: Yeah, I'd just like to comment
22 to follow up on Ben's. There is an interaction between
23 this provision and MAOP as -- as currently in the code
24 which we're all used to dealing with. It seems to me
25 that this requirement will end up sort of asterisking

1 certain MAOPs that are already established.

2 Under current rules, you can up-rate up to
3 MAOP without anything else going on. Now we're saying
4 in certain circumstances or certain segments of pipe
5 you cannot do that unless you do something else.

6 So there's -- there's at least an interaction
7 between this and the MAOP provision, and it may end up
8 being confusing.

9 CHAIRMAN KELLY: So, is it your suggestion
10 that if this motion passes that OPS implement it in
11 such a way to be consistent with any other MAOP --
12 existing MAOP provisions?

13 MR. THOMAS: Yeah. I'm supporting the
14 amendment but am commenting that, yes, OPS should
15 consider that interaction and somehow word this in a
16 way that least confuses the issue.

17 CHAIRMAN KELLY: Any other questions or
18 comments by the Committee?

19 Did I see a question, Mr. Moore?

20 MR. MOORE: No, ma'am. Thank you.

21 CHAIRMAN KELLY: Are we ready for the vote?
22 Mr. Bennett?

23 MR. BENNETT: I would like to add just one
24 thing. You may consider, we talked about the effective
25 date of the rule, and that is a really good thing

1 because you don't want the rolling five years.

2 One thing you might consider is six months
3 after, just understanding the way people communicate.
4 Everyone may not know about the rule coming out and
5 there may be some very good, very secure pipe that's
6 not that old, people didn't hear about it, and they
7 just didn't do the proper tests that they --

8 CHAIRMAN KELLY: You mean they don't run
9 right out and read this transcript as soon as it's
10 available?

11 (Laughter)

12 MR. BENNETT: No, I do it all the time, but I
13 have insomnia, so.

14 PARTICIPANT: They don't read the "Federal
15 Register."

16 MR. BENNETT: But that's one thing -- I have
17 -- OPS really needs to decide that they -- but that
18 should be some consideration that they think about,
19 giving people six months to understand what's going on.

20 CHAIRMAN KELLY: Thank you.

21 Any further comment by Committee members?

22 (No response)

23 CHAIRMAN KELLY: Are we ready for the
24 question? All in favor?

25 (There was a chorus of "ayes.")

1 CHAIRMAN KELLY: Any opposed?

2 (No response)

3 CHAIRMAN KELLY: Any abstentions?

4 (No response)

5 CHAIRMAN KELLY: Thank you.

6 Direct assessment.

7 MR. DRAKE: Chairman Kelly, I have just a
8 point, I guess, just to make. We've tried to dance
9 around the issue about the specific word, but I think
10 the exercise we just went through kind of clarified
11 that there's a long way between the cup and the lip.

12 And I know that we're all pressing very hard
13 to move forward with this and we're trying to stay away
14 from the regulatory language and trying to get too deep
15 in this, but I think that there's a great deal of
16 anxiety that's -- because you see these people keep
17 running up to me and talking to me while we're voting
18 and --

19 CHAIRMAN KELLY: -- they're just --

20 MR. DRAKE: Well, that too, but not with
21 them.

22 Only because that -- there's a lot of anxiety
23 about the distance between the cup and the lip. The
24 words can be a big deal and the words are, you know, an
25 element of how this thing actually rolls forward.

1 And I know that, you know, there's a --
2 there's an arm's length distance here between the
3 industry and this Committee and the regulator, but
4 there are proposed words that are provided that try to
5 address these issues. And I hope that the DOT is going
6 to try to use those words as much as possible to help
7 avoid the problems that could happen between the cup
8 and the lip, okay?

9 If those words somehow don't seem to be
10 working and there seems to be a need to have a
11 radically different string of words, I hope that
12 somehow we are able to communicate because I think that
13 that is the kind of place where we -- we have a chance
14 to collide with each other, where it wasn't what was
15 understood around this table is not being effectuated
16 in the words.

17 And that's all I really want to say. I don't
18 really want to get into mincing of words here, but
19 hopefully we can try to take some tact that minimizes
20 the opportunity to collide with each other in December
21 when we see this thing again.

22 MS. GERARD: This is your opportunity to be
23 as explicit as possible about your advice. After this
24 meeting and hopefully a vote, we won't be able to
25 communicate about this again until the rule comes out.

1 MR. DRAKE: Then I guess I have to make a
2 carte blanche recommendation that you follow the
3 language that was provided to deal with these issues.

4 MS. GERARD: If you could -- if on each of
5 the occasions that we have coming up, if you could
6 listen to the discussion and look at your language and
7 then say, because sometimes the discussion illuminates
8 further the question.

9 MR. DRAKE: I think it's amazing how --

10 CHAIRMAN KELLY: Let me just say this. I
11 think we can move forward. The recommended language is
12 a part of the record. The position of the Committee on
13 issues is clear, I believe, and a part of the record.
14 And OPS will have to proceed based upon the opinions
15 that we have expressed -- that we are expressing here
16 in this meeting and other information that has been
17 submitted in the public record.

18 And to the extent that -- if in the final
19 rule OPS does not incorporate a provision that this
20 Committee is recommending, as you know, they are
21 required by law to indicate in their -- the published
22 rule the position that we took and why they did not
23 follow it. And that's as far as I believe we can go at
24 this point.

25 Are we ready for the next item?

1 MS. GERARD: I just want to make sure we make
2 a distinction between the recommended language that was
3 provided by AGA and INGAA and the Committee's view as a
4 whole about the language of INGAA and AGA because the
5 Committee is purposely -- purposefully by law balanced
6 between industry, government, and the public. And so I
7 want to make sure that the people on the Committee who
8 are not representing the pipeline industry are looking
9 at the language that has been provided and deciding to
10 recommend based on their look at that language.

11 CHAIRMAN KELLY: Are we ready for direct
12 assessment?

13 Oh, I'll just run this thing all night.

14 Dr. Feigel?

15 DR. FEIGEL: I think you were headed where I
16 was headed.

17 CHAIRMAN KELLY: You would just like to keep
18 going, that is?

19 DR. FEIGEL: Oh, sure.

20 (Laughter)

21 CHAIRMAN KELLY: That wasn't where I was
22 going.

23 (Laughter)

24 CHAIRMAN KELLY: But I will certainly abide
25 by the will of the Committee.

1 Actually, I think people think faster when
2 they're anxious to go.

3 (Laughter)

4 CHAIRMAN KELLY: We have -- we have access to
5 the room until 6:00, not that we have to stay until
6 six. But if -- the last item that was on here before
7 the break for tomorrow was direct assessment. And
8 perhaps it is a bit much to go through all of this and
9 do the final vote.

10 But I will -- I'll abide by the will of the
11 Committee. So let me know whether you'd like to stay
12 or go.

13 MR. DRAKE: As, maybe, an alternative to
14 diving into something as -- as wieldy as or unwieldy as
15 direct assessment, maybe we could touch on an issue
16 that was opened and kind of parked, and -- and I -- I'd
17 appreciate it if we could get some clarity on the issue
18 of the identified sites and the petition for
19 reconsideration. If we could spend just a little bit
20 of time articulating what is DOT's plans.

21 We have touched on the description of an
22 identified site in these meetings periodically over the
23 last six months, 20 people, 50 people, indoors, out --
24 I mean, it's like you said, Stacey, it is kind of
25 embedded in here. But today we have not talked about

1 closing those -- those issues, the identified site
2 issues. They have not -- we have not voted on any of
3 them.

4 But would that be -- would that be
5 appropriate just for us as a group to kind of figure
6 out how that sits right now? Because it is integral to
7 this rulemaking.

8 CHAIRMAN KELLY: Are you addressing again the
9 petition for reconsideration?

10 MR. DRAKE: The issue specific to identified
11 sites. I know that it's difficult for this group to
12 talk about the petition for reconsideration because we
13 have not seen it here, but I think that I would
14 appreciate just some clarity on where the DOT's
15 definition of an identified site stands today, and
16 that's separate from the petition for reconsideration.
17 It's just a fact.

18 Where are you? Because we've talked about
19 it. We have not seen those issues explicitly closed.
20 And I don't know if it's because of the petition for
21 reconsideration or what, but this Committee has heard
22 those issues brought up. We just haven't heard where
23 they went.

24 MS. GERARD: I'm trying to recall. There
25 were three issues, as I remember, in the petition for

1 reconsideration. Is that -- is that correct?

2 And one of them dealt with the rural
3 churches, which I know we're going to deal with on the
4 agenda.

5 Right at this moment, I can't remember what
6 the other two issues were. I -- I know that --

7 PARTICIPANT: Bring up the whole petition --

8 CHAIRMAN KELLY: Right. Because we're not
9 going to deal with that.

10 MS. GERARD: Well, but I -- I would say that
11 when we wrote the rule, the NPRM, we -- we did have eye
12 on that petition and we were trying to address the
13 problems in the petition with this rule. So I -- I
14 just -- I apologize, I can't remember what the --

15 MR. DRAKE: Let's not talk about the petition
16 for reconsideration, just for the clarity of this
17 entire group. What is --

18 MS. GERARD: What did it say on identified
19 sites?

20 MR. DRAKE: We're not going to talk about it.
21 What --

22 MS. GERARD: Identified sites.

23 MR. DRAKE: What is an identified site?
24 That's not germane to the petition for reconsideration
25 at all. It's just, what do you think they are?

1 MS. GERARD: I thought they were the areas
2 where people congregated and the hard-to-evacuate.

3 MR. ISRANI: Right. That's in general, but
4 if you want to see what we identified -- what an
5 identified site is, it's what is in the final rule of
6 August 6th for HCA, which says an identified site is a
7 building or outside area that is visibly marked, is
8 licensed or registered by a federal, state, or local
9 agency, is known by public officials, or is on the list
10 or map maintained by or available from federal, state,
11 or local agency or publicly or commercially available
12 database. And then it describes what those identified
13 sites are.

14 It's occupied by persons who are confined or
15 of impaired mobility or would be difficult to evacuate.

16 And examples include but not limited to hospitals,
17 prisons, schools, day care facilities, retirement
18 facilities, and assisted living facilities.

19 Or, second part of that identified site is,
20 there's evidence for the use of site by at least 20 or
21 more persons on at least 50 days in a 12-month period.

22 And these days may not be consecutive. Examples
23 include but not limited to beaches, playgrounds,
24 recreational facilities, camping grounds, outdoor
25 theaters, stadiums, religious facilities, recreational

1 areas near the bodies of water.

2 This was in the final rule as identified
3 site.

4 MS. GERARD: But in this NPRM, I thought we
5 made some additional clarification about who the local
6 agencies were. And we attempted to limit it to fire
7 service and law enforcement emergency responders,
8 right?

9 MR. DRAKE: You asked for comments on it.
10 Specific to that, you asked for a comment on the
11 definition of public officials -- that was in the
12 August final rule -- and asked whether public safety
13 officials is more appropriate in the NPRM.

14 MS. GERARD: Right.

15 MR. DRAKE: But that opened up the question
16 of the rest of the identified site definition being
17 appropriate, such as the databases issue. How do we
18 comply with that? And there are comments on the record
19 that I think the Committee ought to consider discussing
20 --

21 MS. GERARD: On this rule?

22 MR. DRAKE: Yes.

23 MS. GERARD: Wasn't the database issue
24 addressed with the extrapolation?

25 MR. DRAKE: No. It's in the NPRM and in the

1 final rule for HCA definition. The question was before
2 us or inside the definition resided that the operator
3 must examine all commercially available databases and
4 publicly available databases. And operators looked at
5 that and said, do I have to go down the roadrunner path
6 of getting to the end of the Internet and finding --
7 you know, where do I -- where do we stop and draw the
8 line for compliance here.

9 MS. GERARD: Didn't we propose something else
10 in this? I mean --

11 CHAIRMAN KELLY: Let me -- let me suggest
12 this, then, and maybe it would be good for us to break
13 for business at this point.

14 We'll give the OPS staff an opportunity to
15 review the current proposal to the extent that it
16 addresses the definition and we will begin our meeting
17 tomorrow by reviewing those elements of this proposal
18 so that we can sort of bifurcate this discussion. We
19 will deal with it as it relates to the issue before us
20 without having to go back to issues that don't
21 necessarily pertain to the agenda at hand.

22 So we'll take this up as our first order of
23 business in the morning.

24 MR. DRAKE: Thank you very much.

25 CHAIRMAN KELLY: Are there any -- so what

1 we'll -- we'll stop our discussions on the agenda at
2 this point.

3 Are there any other what I'll call
4 administrative matters?

5 (No response)

6 CHAIRMAN KELLY: I failed to mention earlier
7 that we had minutes or notes taken from our meeting in
8 March, and I personally found that very helpful to --
9 it summarized our discussion and the things that were
10 important at the last meeting and that's a lot easier
11 for us as Committee members, I believe, to go back to
12 than to wade through the transcript.

13 So, I want to thank our secretary for doing
14 that and thank OPS for having that available to us. We
15 always thank our court reporter. He does an excellent
16 job, but to have the minutes, that was new and it was
17 very helpful, and we want to thank staff for that.

18 And Cheryl has told me that I should tell you
19 you've got homework because there are new inserts under
20 the L & G portion of the agenda package that were not
21 in the materials that were sent to you prior to the
22 meeting. So if you'd just take a look at those
23 tonight, specifically environmental assessment and the
24 regulations evaluation. We will have to vote on that,
25 so if you'd just take a look at it in your spare time.

1 All right. We are adjourned until the
2 morning.

3 MR. ISRANI: Can I add just one comment? You
4 know, we -- we like to discuss identified sites, but I
5 would think that we must go through a few issues that
6 we have so we can clear that part of our agenda and
7 then, by whatever limited time we have --

8 CHAIRMAN KELLY: We'll review that.

9 MR. ISRANI: Okay.

10 CHAIRMAN KELLY: See you in the morning.

11 (Whereupon, on May 28, 2003, the proceedings
12 were adjourned, to reconvene at 9:00 a.m., May 29,
13 2003.)

14

15

16

17

18

19

20

21

22

23

24